

CONSOLIDATED HEARINGS BOARD

IN THE MATTER OF Sections 2 and 3 and 6 (3) of the Consolidated Hearings Act, 1981, S.O. 1981, c.20;

— and —

IN THE MATTER OF Section 12(2) of the Environmental Assessment Act, R.S.O. 1980, c.140;

— and —

IN THE MATTER OF Sections 30, 35 and 38 of the Environmental Protection Act, R.S.O. 1980, c.141, as amended;

— and —

IN THE MATTER OF Sections 24 and 61 (2) of the Ontario Water Resources Act, R.S.O. 1980, c.361, as amended;

— and —

IN THE MATTER OF Section 28 (3) of, and Regulation 164 under, the Conservation Authorities Act, R.S.O. 1980, c.85, as amended;

— and —

IN THE MATTER OF Section 40(12) of the Planning Act, S.O. 1983, c.1, as amended; in connection with site plan control of the sanitary landfill site;

— and —

IN THE MATTER OF Section 22(1) of the Planning Act, 1983 in connection with a referral to this Board by the Honourable Bernard Grandmaitre, Minister of Municipal Affairs, on a request by the Regional Municipality of Halton to amend the Official Plan for the Town of Milton to redesignate a parcel of land comprising Part Lots 3 and 4, Concession 2 N.S. in the Town of Milton from "Agriculture" and "Conservation and Hazard Lands" to permit the construction, operation and maintenance of a landfill site, Minister's File No. 24-OP-0208-A01;

— and —

IN THE MATTER OF Section 34(11) of the Planning Act, 1983 in connection with an appeal to this Board by the Regional Municipality of Halton for an order directing an amendment to By-law 61-85 of the Town of Milton to rezone the lands situated at Lot 3 and part of Lot 4, Concession 2 N.S., in the Town of Milton from "Agriculture" to permit a regional sanitary landfill site and ancillary uses;

— and —

IN THE MATTER OF Section 15(1) of the Planning Act, R.S.O. 1980 ch.379 in connection with a referral by the Honourable Claude F. Bennett, Minister of Housing on a request by Tremaine Britannia Citizen's Group for consideration of part of the Official Plan for the Halton Planning Area with respect to Sections 1 to 5 inclusive, 7, 9 and 10 of Part III D3 Solid Waste Management, Minister's File No. OPC-0026;

— and —

IN THE MATTER OF Section 64 of the Ontario Municipal Board Act, R.S.O. 1980, c.347 as amended in connection with an application by the Regional Municipality of Halton for an order approving:

- a) the acquisition of land for the construction, operation and maintenance of a sanitary landfill site to contain 7.96 million cubic metres of waste in the Regional Municipality of Halton and to do so by one of two alternative methods as follows:

- (i) landfilling at the site referred to in Halton's Environmental Assessment as Site F in the City of Burlington;
- (ii) landfilling at the site commonly referred to in Halton's Environmental Assessment as Site D in the Town of Milton

at an estimated cost of \$12,775,000.00, and the borrowing of money by way of temporary advances not exceeding in the aggregate such estimated cost pending the sale of debentures, and

- (b) the issuance of necessary debentures to a maximum of \$12,775,000.00 for a term not to exceed fifteen years;

— and —

IN THE MATTER OF Section 193(5) and Paragraph 84 of Section 210 of the Municipal Act, R.S.O. 1980, c.302, as amended;

— and —

IN THE MATTER OF Sections 6, 7 and 8 of the Expropriations Act, R.S.O. 1980, c.148;

— and —

IN THE MATTER OF an undertaking of the Regional Municipality of Halton to provide facilities for the purpose of receiving, dumping and disposing of waste as required by section 137 of the REGIONAL MUNICIPALITY OF HALTON ACT, R.S.O. 1980, c.436, as amended, by acquiring the land for, constructing, operating and maintaining a landfill to contain 7.96 million cubic metres of waste in the Regional Municipality of Halton.

VOLUME: 123 (Pages 29650-29837)

HELD AT: Oakville, Ontario

DATE: April 13, 1988

OFFICIAL REPORTERS

NETHERCUT & COMPANY LTD.

185 RICHMOND ST. W.,

TORONTO, ONT. M5V 1V3

TEL: 593-4802

WITNESSES:CRUTCHER, Anthony J., (resumed):PETRIE, John M., (resumed):

Cross-examination by Mr. Estrin (cont'd) 28554

E X H I B I T S

<u>No.</u>	<u>Description</u>	<u>Page</u>
M-696R	Revised version of Exhibit M-696	29691
H-647	Chart, hydraulic conductivity calculated from CRA infiltration and gradient rates from unweathered upper till, B-618, pages 47-48.	29698
M-713	Calculation of hydraulic conductivity of weathered upper till, based on CRA's evidence, Site D.	29720
M-714	Figure 1 from Exhibit M-438 with ponds marked.	29733
M-715	Extracts from Hydrogeology of Solid Waste Disposal Sites in Northeastern Illinois by Hughes, Landon and Farvolden	29746
M-716	Excerpts from Phase II, Morrison Beatty Limited, Hydrogeologic Investigation for National Sewer Pipe Ltd. Landfill Site, Burlington.	29752
M-717	Draft Waterloo landfill site, Technical Memorandum	29756
M-717-P1	Plan 1 from Exhibit M-717	29768
M-718	Extracts from Interim Report Hydrogeologic Investigation, Existing Waterloo Landfill and Expansion Area	29801



THE CONSOLIDATED HEARINGS BOARD

1 IN THE MATTER OF Sections 2 and 3 and 6(3) of the
2 Consolidated Hearings Act, 1981, S.O. 1981, c. 20;

- and -

3 IN THE MATTER OF Sections 12(2) of the Environmental
4 Assessment Act, R.S.O. 1980, c.140;

- and -

5 IN THE MATTER OF Sections 30, 35 and 38 of the
6 Environmental Protection Act, R.S.O. 1980, c.141, as
7 amended;

- and -

8 IN THE MATTER OF Sections 24 and 61(2) of the Ontario
9 Water Resources Act, R.S.O. 1980, c.361, as amended;

- and -

10 IN THE MATTER OF Section 28(3) of, and Regulation 164
11 under, the Conservation Authorities Act, R.S.O. 1980,
12 c.85, as amended;

- and -

13 IN THE MATTER OF Section 40(12) of the Planning Act,
14 S.O. 1983, c.1, as amended; in connection with site
15 plan control of the sanitary landfill site;

- and -

16 IN THE MATTER OF Section 22(1) of the Planning Act,
17 1983 in connection with a referral to this Board by the
18 Honourable Bernard Grandmaitre, Minister of Municipal
19 Affairs, on a request by the Regional Municipality of
20 Halton to amend the Official Plan for the Town of
21 Milton to redesignate a parcel of land comprising Part
22 Lots 3 and 4, Concession 2 N.S. in the Town of Milton
23 from "Agriculture" and "Conservation and Hazard Lands"
24 to permit the construction, operation and maintenance
25 of a landfill site, Minister's File No. 24-OP-0208-A01;

- and -

IN THE MATTER OF Section 34(11) of the Planning Act,
1983 in connection with an appeal to this Board by the
Regional Municipality of Halton for an order directing
an amendment to By-law 61-85 of the Town of Milton to
rezone the lands situated at Lot 3 and part of Lot 4,
Concession 2 N.S., in the Town of Milton from
"Agriculture" to permit a regional sanitary landfill
site and ancillary uses;

- and -

IN THE MATTER OF Section 15(1) of the Planning Act,
R.S.O. 1980 ch.379 in connection with a referral by the
Honourable Claude F. Bennett, Minister of Housing on a
request by Tremaine Britannia Citizen's Group for
consideration of part of the Official Plan for the
Halton planning Area with respect to Sections 1 to 5
inclusive, 7, 9 and 10 of Part III D3 Solid Waste
Management, Minister's File No. OPC-0026;



Nethercut & Co. Ltd.

Toronto, Ontario

APPEARANCES (Cont'd):

1	C. Stevenson	for Framgard Holdings,
2	P. Hancock	Fosseri Investments
3		Limited, Seriphos
4		Investments Limited and
5		Topic Investments
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

J.H. Olah

for the Halton Region
Conservation Authority

* * * * *

Nethercut & Co. Ltd.
Official Reporters
185 Richmond St. W.
Toronto, Ontario
M5V 1V3

Per: C. F. Nethercut, C.V.R.



1 --- Upon commencing at 9:30 a.m.

2 MR. LANCASTER: Good morning. Thank you.
3 Please be seated.

4 ANTHONY J. CRUTCHER, (resumed):

5 JOHN M. PETRIE, (resumed):

6 CROSS-EXAMINATION BY MR. ESTRIN (cont'd):

7 Q. Mr. Petrie, I wonder if you could
8 up the overhead, Exhibit M-709.

9 MR. PETRIE: A. Excuse me, I'll just be
10 a minute.

11 DR. KINGHAM: I hope the difficulties
12 getting started aren't a reflection of
13 triskaidekaphobia.

14 MR. PETRIE: What is that?

15 DR. KINGHAM: A fear of thirteen.
16 Today is April 13th.

17 MR. ESTRIN: Q. Okay. Looking at the
18 overhead of Exhibit M-709, and looking at the bottom of
19 that exhibit page, we have tried to set out the
20 hydraulic conductivities considered by various people
21 who have expressed or considered these matters so far
22 at the hearing. Looking at the column 1.4×10^{-8}
23 centimetres per second, you certainly brought that
24 number to the Board.

25



- and -

IN THE MATTER OF Section 64 of the Ontario Municipal Board Act, R.S.O. 1980, c.347, as amended in connection with an application by the Regional Municipality of Halton for an order approving:

(a) The acquisition of land for the construction, operation and maintenance of a sanitary landfill site to contain 7.96 million cubic metres of waste in the Regional Municipality of Halton and to do so by one of two alternative methods as follows:

(i) landfilling at the site referred to in Halton's Environmental Assessment as Site F in the City of Burlington;

(ii) landfilling at the site commonly referred to in Halton's Environmental Assessment as Site D in the Town of Milton.

at an estimated cost of \$12,775,000.00 and the borrowing of money by way of temporary advances not exceeding in the aggregate such estimated cost pending the sale of debentures, and

(b) the issuance of necessary debentures to a maximum of \$12,775,000.00 for a term not to exceed fifteen years;

- and -

IN THE MATTER OF Section 193(5) and Paragraph 84 of Section 210 of the Municipal Act, R.S.O. 1980, c.302, as amended;

- and -

IN THE MATTER OF Sections 6, 7 and 8 of the Expropriations Act, R.S.O. 1980, c.148;

- and -

IN THE MATTER OF an undertaking of the Regional Municipality of Halton to provide facilities for the purpose of receiving, dumping and disposing of waste as required by section 137 of the REGIONAL MUNICIPALITY OF HALTON ACT, R.S.O. 1980, c.436, as amended, by acquiring the land for, constructing, operating and maintaining a landfill to contain 7.96 million cubic metres of waste in the Regional Municipality of Halton.

BEFORE: H. H. Lancaster, Q.C. - Chairman
Dr. D.J. Kingham - Member



Hearing conducted at The Oakville
Granary Commercial Centre, 105 Robinson
Street, Oakville, Ontario, on
Wednesday, April 13, 1988.

VOLUME 123

APPEARANCES:

T.R. Lederer and H.D. Hodgson	for the Regional Municipality of Halton (Proponent)
J.R. Tidball	for the Ministry of the Environment
T. Vigod J.F. Castrilli	for the West Burlington Citizens Group
D. Estrin, F.E. Leitch and H. Dahme	for the Corporation of the Town of Milton
S.R. Garrod and A. Nurvo	for the Milton Area Citizens Coalition and several affected Milton area landowners
R.B. Tuer, Q.C. E.A. Cronk and F. Perrier	for National Sewer Pipe Limited
L.F. Longo	for Azova Investments Limited
M.J. McQuaid, Q.C. and C.J. Tzekas	for the City of Burlington
C. Mansfield	for the Ministry of Natural Resources
P. Renaud	for Cumis



1 MR. PETRIE: A. That is correct.

2 Q. Dr. Rowe did not consider that?

3 A. That is correct.

4 Q. Neither did Mr. Sobanski?

5 A. I don't think Mr. Sobanski had an
6 opportunity to consider it before the Board.

7 Q. And Mr. Feenstra wouldn't have
8 considered that?

9 A. He did not address hydraulic
10 conductivities at Site D, and I believe Mr. Hodgson
11 spoke to that yesterday.

12 Q. On the assumption that that is the
13 evidence, I would be happy to ask every one to delete
14 Mr. Feenstra's name. I don't have a clear recollection
15 at this time of whether or not he addressed hydraulic
16 conductivities at Site D, and if Mr. Hodgson is saying,
17 as he said yesterday, that Mr. Feenstra did not express
18 an opinion about that, or did not model based on any of
19 these numbers, then it would be fair to delete his
20 name, but if he expressed an opinion or modelled on
21 these numbers, it seems it is fair to leave his name
22 there.

23 MR. HODGSON: I don't think I should
24 have to make a representation in that direction.

25



1 Certainly the qualification on the model, I suspect he
2 did model using the hydraulic conductivity numbers, and
3 perhaps it would be more appropriate for Mr. Estrin to
4 indicate in summarizing the data what exactly he is
5 summarizing for the record and then we would have an
6 understanding. I don't want to stand on formalities,
7 but there is a difference between argument and evidence
8 and the difference is that argument is what lawyers say
9 the evidence is and evidence is what the transcript
10 says the evidence is.

11 MS. CRONK: They are always the same.

12 MR. HODGSON: They are always the same,
13 I am told by Ms. Cronk. I might quote her later on
14 that as well. I don't know, and I don't want to
15 hamper my friend's cross-examination, but at the same
16 time I would like him to indicate for the record what
17 he is doing in putting this portion of the document to
18 the witness.

19 MR. ESTRIN: All I am asking the witness
20 to look at and agree to is whether it seems the various
21 witnesses named have considered these hydraulic
22 conductivities in assessing the impact on Site D. I am
23 not going into any detail as to what they said, but
24 whether or not any of these numbers seem to have been
25 considered.



1 Q. Mr. Petrie, you reviewed all the
2 information and reviewed -- you were here for almost
3 all the hydrogeological testimony?

4 MR. PETRIE: A. That is correct.

5 Q. We have reviewed the transcripts
6 and I am trying to get your help on what cases have
7 been considered.

8 DR. KINGHAM: And I guess by whom they
9 were considered and that is the issue here.

10 MR. ESTRIN: Yes.

11 DR. KINGHAM: Our recollection is that
12 Mr. Sobanski was involved in the preparation of H-39 as
13 was Mr. Beechinor and Mr. Sobanski as the
14 hydrogeologist produced a mean of the order of
15 8.0×10^{-8} , but I can't recall that Mr. Feenstra
16 produced that number or that he commented on the
17 validity of the number, although he may have used it, I
18 don't recall in his modelling, and maybe it would be
19 best to credit that number to Mr. Sobanski rather than
20 Mr. Feenstra.

21 MR. ESTRIN: I would be happy to do
22 that.

23 MR. PETRIE: Shall I delete the name
24 Feenstra from that exhibit?

25 MR. ESTRIN: Q. Yes, sure. With that



1 amendment and looking at 1.4×10^{-8} , CRA was the only
2 one to consider that as an appropriate number to
3 consider the impact on Site D.

4 MR. PETRIE: A. Correct but that number
5 was generated after Mr. Sobanski had completed his
6 testimony before the Board.

7 Q. Let's look at the column of
8 8.0×10^{-8} . That was a geometric mean produced --
9 well, what is your recollection?

10 A. It is a number produced by Trow
11 from their own interpretation of their data regarding
12 the unweathered upper till for Site D.

13 Q. Do you recall that Dr. Rowe did
14 consider it?

15 A. Yes.

16 Q. And you did not?

17 A. That is not correct.

18 Q. You did not consider it in your
19 report?

20 A. I believe we stated in-chief that
21 we felt the 1.4×10^{-8} was the most representative and
22 that 8.0×10^{-8} was a conservative number.

23 Q. In your report, you did not
24 consider it, but in evidence you are now asking it be
25 considered?



1 A. We have considered it all along.

2 Q. So we should change the no to a
3 yes?

4 A. That is correct.

5 Q. The 4×10^{-7} , and Mr. Sobanski did
6 not consider the impact at Site D based on that?

7 A. That is my understanding, yes.

8 Q. Dr. Rowe did use that number in
9 his modelling?

10 A. He used that in his deliberations.

11 Q. I am not sure. Are you
12 quarrelling with the word "modelling"?

13 A. He used a variety of numbers and I
14 am not sure which he was hanging his hat on.

15 Q. I am asking you if he used that
16 number?

17 A. He used that number in the model,
18 yes.

19 Q. And your firm did not?

20 A. That is correct. We did not do
21 any modelling at Site D.

22 Q. You did not consider that
23 hydraulic conductivity as being a relevant one?

24 A. That's correct.

25 Q. Let's look at 8.0×10^{-7} , and



1 again Mr. Sobanski did not consider that value?

2 A. That is correct, as I recall.

3 Q. Dr. Rowe did?

4 A. That is also correct.

5 Q. And your firm did not?

6 A. That is correct.

7 Q. With those two amendments, you can
8 agree with the data in Exhibit 709?

9 A. Yes.

10 Q. Thank you. Now, would you bring
11 the overhead back down. Comparing -- you summarized,
12 comparing the results of your lab tests in your
13 Waterloo exercise to the pump test values, it produced
14 differences of between two and three orders of
15 magnitude, fair enough?

16 A. That is the numerical difference
17 between the numbers there, yes.

18 Q. The results of the Hvorslev and
19 the pump tests in Waterloo again produced differences
20 in the range of two to three orders of magnitude,
21 approximately?

22 A. Approximately.

23 Q. That was in a situation where the
24 clay content was as reported by Dr. Karrow, 54 per cent
25 for that kind of unit?



1 A. Yes, and there was considerable
2 variation in the unit.

3 Q. Subject to local variation?

4 A. Yes.

5 Q. The Illinois work which is
6 summarized at the top of Exhibit M-709 also
7 demonstrated fracturing in a till considered to be
8 basil and unweathered and there is further work using
9 the 45 degree holes, which resulted in hydraulic
10 conductivity values of two to three orders of magnitude
11 over the lab tests?

12 A. Looking at the numerical
13 difference in those numbers, yes.

14 Q. It also demonstrated one to two
15 orders of magnitude greater hydraulic conductivity
16 between the 45 degree holes and the Hvorslev?

17 A. I see the numerical difference to
18 that effect on that table, yes.

19 Q. Mr. Petrie, I would like to put it
20 to you that because of the absence of the kind of
21 testing at Site D that you did in Waterloo, and the
22 Illinois investigators did, both of which demonstrated
23 significant increases in hydraulic conductivity of an
24 unweathered till by those testing methods, your
25 geometric mean of 3.8×10^{-8} cannot be considered



1 conservative?

2 A. I believe we felt that 8.0×10^{-8} ,
3 Trow's number, was conservative and that the geometric
4 means provides reasonable data on the basis of the data
5 we have.

6 Q. Is it your evidence that
7 8.0×10^{-8} is conservative?

8 A. It is. That is my opinion.

9 Q. I suggest that that is implausible
10 and incredible, having regard to the fact that you have
11 taken the position that you have as a result of your
12 own Masters thesis, that only by investigations such as
13 pump tests can you accurately or realistically
14 determine the vertical hydraulic conductivity of an
15 unweathered clay?

16 A. The work I did on my Masters
17 project leads one to conclusions to that effect for the
18 test area in question.

19 Q. So did the Illinois work?

20 MR. McQUAID: Let him finish.

21 MR. PETRIE: May I finish?

22 MR. ESTRIN: Q. Yes.

23 MR. PETRIE: A. And also for the
24 Illinois case, as you pointed out. However, there has
25 been no evidence provided to this Board on any of the



1 documents I am aware of regarding the incidence of
2 fracturing in this material, your own consultant did
3 not discuss it and your own consultant did not
4 recommend angled boreholes be drilled to address this
5 concern.

6 I can only suggest that to extrapolate
7 the vast areas of North America may lead you to a
8 conclusion, and I am not sure that is the appropriate
9 method of investigation.

10 Q. Let's go if we could back to your
11 Masters project, Exhibit M-707, and I want to direct
12 your attention to the abstract and to page iv. Could
13 you read the last two paragraphs on that page?

14 A. "Application of the Terzarghi one-
15 dimensional consolidation equation
16 showed that the clay till should remain
17 unaffected by test pumping,..."

18 Q. That was the clay till?

19 A. Yes.

20 Q. "...but maximum measured drawdowns
21 exceeded 2.5 m. Extensive vertical
22 fracturing is the most plausible
23 explanation of such behaviour."

24 And as I indicated yesterday, the
25 geometry of such fracturing, I believe I said it was



1 curiously fortuitous and it had to be a spacing greater
2 than the core but narrower than the borehole diameter.

3 Q. Keep reading.

4 A. The next paragraph reads:

5 "Such a response to pumping could not
6 have been predicted on the basis of
7 piezometer response tests or
8 consolidation tests. This anomalous
9 response is attributed to the effects of
10 borehole smearing. The value of pumping
11 tests in determining the hydraulic
12 character of a confining medium is aptly
13 demonstrated."

14 Q. Look at your -- can we turn the
15 page and look over at page 1 of your Masters project
16 paper, and I am directing your attention to the second
17 paragraph and to the last sentence, and read that
18 please?

19 A. We read it yesterday, and I can
20 read it again:

21 "The formation hydraulic character as
22 determined from piezometer response
23 tests, could easily lead to erroneous
24 and optimistic conclusions concerning
25 the long term ability of these materials



1 to inhibit the migration of wastes."

2 Q. Now, Mr. Petrie, let's look at
3 Exhibit M-696. What I have done is put beside you
4 another, if you like, attempted copy of it without some
5 of the data. I wonder if you could write down on the
6 flip chart on the left your conservative number for the
7 unweathered upper till, say on one side in one colour,
8 the CRA value in red, which would be fine, but write it
9 on one side of the page. Can you put CRA underneath
10 that? I would like you to add -- Mr. Petrie, have
11 regard to what I had you read on page 1 and I would
12 like to suggest that it would be appropriate for Mr.
13 Petrie to add onto that and beside that value, the
14 words "potentially erroneous and optimistic re. ability
15 to inhibit waste migration."

16 A. Those are your words you are
17 asking me to write.

18 MR. MCQUAID: Mr. Estrin is not the
19 witness. The witness was asked certain questions and
20 the result is that those words go on and they may be
21 put on, but we don't need an exhibit from Mr. Estrin,
22 he can put in exhibits in argument if he wants to call
23 them aide memoires of a lawyer, but he can't argue his
24 case now. It is the witness' evidence.

25 MR. ESTRIN: I am not asking him to do



1 it because I am saying he should do it, but I am
2 suggesting that if we go back to Mr. Petrie's own work
3 and his own words, he says on page 1 of this exhibit,
4 707, that the:

5 "...hydraulic character as determined
6 from piezometer response tests,"
7 also in the abstract consolidation:

8 "... could easily lead to erroneous and
9 optimistic conclusions".

10 Q. I say to you, Mr. Petrie, it is
11 fair to take your words and to put them beside that
12 value of 8.0×10^{-8} because you have written that in
13 the absence of pumping tests, that that could easily
14 lead to erroneous and optimistic conclusions.

15 MR. PETRIE: A. I made those
16 conclusions based on my Masters project at the
17 University of Waterloo and do you wish me to apply them
18 everywhere in Ontario? Is that your request?

19 Q. I suggest you have set up in your
20 paper which you authored a conclusion?

21 A. That is correct, I have.

22 Q. Which you did not restrict to your
23 Waterloo case?

24 A. I could not predict I would be
25 here today four years later.



1 Q. Mr. Petrie, in fact, if you turn
2 to page 36, you say, if you will read the last
3 sentence, please, on page 36?

4 A. "It is therefore considered
5 prudent to evaluate the hydraulic
6 character of Ontario clays by a number
7 of techniques, especially that of a
8 pumping test."

9 Q. You were certainly not restricting
10 yourself to the Maryhill Till?

11 A. I was making a conclusion
12 regarding prudence of investigations, yes.

13 Q. That is why I suggest it would be
14 fair, and simply taking your own words as written in
15 1985, and not very long ago?

16 A. It was 1984. The date is 1985,
17 but I was some what slow in signing on the dotted line.

18 Q. I understand, but it is still not
19 very long ago, but to take your words and to apply them
20 to the value you say is the best one which has not been
21 the result of pumping tests. All I am asking you to do
22 is apply your own words to that and I think that would
23 be fair.

24 MR. McQUAID: That's a suggestion and
25 the question is does Mr. Petrie agree that that should



1 be done?

2 MR. LANCASTER: Is that your opinion?

3 MR. PETRIE: It is not my opinion, I am
4 basing my opinion on the available data before me and
5 pumping tests have been conducted at the site.

6 MR. LANCASTER: Would you say that
7 that's optimistic?

8 MR. PETRIE: The value of 8.0×10^{-8} , I
9 believe to be a conservative number for the hydraulic
10 conductivity from the available data.

11 MR. ESTRIN: Q. Mr. Petrie, that is not
12 what we are discussing and that is not what you talked
13 about in your thesis. You said here is the result we
14 get from consolidation lab tests, and here are the
15 results from piezometer tests and they are two to three
16 orders of magnitude lower than what you got from the
17 pumping tests and therefore you say:

18 "It is therefore considered prudent to
19 evaluate the hydraulic character of
20 Ontario Clays by a number of techniques,
21 especially that of a pumping test."

22 You say it more clearly on page 1, where you say in the
23 absence of these pumping tests, in effect, the values
24 obtained from piezometers or consolidation tests as you
25 say in your abstract, could easily lead to erroneous



1 and optimistic conclusions concerning the long-term
2 ability of these materials to inhibit wastes, and that
3 is all I am asking you to agree to, that your words,
4 written in 1984 about the very situation the Board has
5 to adjudicate on here, Mr. Petrie, should be applicable
6 here today. Can you tell me why there is any cogent
7 reason why the prudence which you so clearly
8 articulated in your written document, why that prudence
9 should not be applied to Site D and to the value you
10 brought to this Board based on other kinds of testing.
11 Can you tell me why it should not?

12 MR. PETRIE: A. I can. There have been
13 pumping tests conducted at Site D and as I understand
14 the data, I do not see responses through the till
15 strata.

16 Q. That is your response?

17 A. That is my response to the
18 question you just posed.

19 Q. Mr. Petrie, you told me yesterday,
20 and we would have to get the transcript if you
21 disagree, that the pumping tests that were conducted at
22 Site D were not set or attempted to obtain the response
23 in the unweathered till to a pumping test of the
24 aquifer?

25 A. That is what I told you yesterday



1 and I have reviewed some other data which has now been
2 provided to me for Site D and I find some entries in
3 the data columns which leads me to suspect that maybe
4 they were monitored.

5 Q. "Maybe they were monitored"?

6 A. I am trying to read a not
7 particularly legible document.

8 Q. There has been raw pumping data
9 before this Board since Mr. Beechinor brought it
10 forward in Exhibit 172A several months ago.

11 A. That is correct and I imagine I
12 was here on the day in question and for some reason it
13 escaped me.

14 Q. Maybe it is 174, but somewhere in
15 there.

16 A. I have that, because I was
17 reviewing it last evening. On page 13 of that exhibit,
18 we have some entries there which I find not
19 particularly easy to read, but perhaps it is worth
20 clarifying.

21 Q. You are looking at which exhibit?

22 A. I am looking at H-174, which in
23 our document we have described as "Raw Pumping Test
24 Data (Site D)" dated, by I believe Mr. Crutcher's
25 handwriting, September 21, 1987. For some reason it



1 escaped my recall. I have numbered the pages in the
2 document I have, being page 1, the title page, Raw
3 Pumping Test Data, and page 2 being the page with the
4 words Pumping Test No. 1 written on it....

5 Q. Just a moment, please. Raw
6 pumping test data, Site D is No. 1 and pumping test No.
7 1 is 2?

8 A. Correct, and I have numbered them
9 sequentially and the page I wish to address is page 13.

10 DR. KINGHAM: Our copy of that exhibit,
11 interestingly enough, has after page 2, pumping test
12 No. 1, there is a blank page. I just want to know
13 whether I should number that or not?

14 MR. PETRIE: I do not have a blank page.

15 DR. KINGHAM: Your third page is one
16 that has drawdown record for pumped well across the
17 top?

18 MR. PETRIE: It has PW-1 written in the
19 upper corner at an angle.

20 DR. KINGHAM: That is your page 3?

21 MR. PETRIE: Yes, and it has a
22 telephone number on it. The copies I have are not
23 particularly easy to read and I do not believe they are
24 intended for persons other than the field people who
25 were to prepare the data for evaluation within Trow.



1 DR. KINGHAM: Can you tell us a bit
2 about what is on the pages you want to refer to so I
3 can be sure we have the right page number?

4 MR. PETRIE: I am looking at page 13 and
5 it's a table and across the top there are some headings
6 but no entries on the adjacent blank lines. We have in
7 addition to the table an OW-1 in rather bold print at
8 the top with a little arrow underneath it.

9 DR. KINGHAM: We have the same number.

10 MR. PETRIE: What I am noting is
11 column headed No. 3 standpipe, and if I turn to the
12 preceding page, page 12 at the same position on the
13 same table, I see something that looks like No. 3
14 standpipe and underneath it something that looks like
15 FL2-85, and I believe that to be HC2-85, although it
16 does not appear as an HC2-85. I come to that
17 conclusion with reference to Appendix 10 of H-39A and
18 that is the pumping test results, and one of those
19 graphs for PW-2, being the upper granular unit well, it
20 indicates an OW-1 and it's bracketed with HC2-85. I
21 am assuming that might be HC2-85, but I do not know
22 that for a fact.

23 DR. KINGHAM: Exhibit H-84 in Appendix C
24 shows OW-1 as HC2-85 clearly with reference to a master
25 plan. Is that of any help?



1 MR. PETRIE: Which page?

2 DR. KINGHAM: Appendix C or Addendum C
3 of H-84, and it's the second page.

4 MR. PETRIE: The second page of
5 information and HC2 is OW-1 and yes, I understand that
6 to be the case. That is as it appeared to me last
7 night, but the question I have in my mind is what is
8 the data entry. Starting at page 12 and working from
9 the far left column, the far left entry, we have
10 elapsed time and then depth from MP, and I understand
11 MP to be the measuring point, and so on page 12 for the
12 two columns of data, I understand that one is time
13 since pumping started and the column that reads depth
14 from measuring point, the values are increasing and I
15 understand that to mean that the water level is
16 dropping down and so we are looking at drawdown data
17 here.

18 I notice at the far left of the table
19 outside the body of the table, we have some pumping
20 rates, 10 gallons per minute, 10 gallons per minute,
21 and I understand that page 12 represents drawdown data
22 from HC2-85. At HC2-85, there are three piezometers
23 and piezometer 1 is completed at depth in the system,
24 and I will just draw your attention to it.

25 Now, I can get an overhead to that



1 effect which would be easier to explain. I have put
2 an overhead before the Board and taken from our Site D
3 report, being B-618, and I am drawing your attention to
4 installation HC2-85, which is in approximately the
5 middle of the cross-section. We have three piezometers
6 and I am indicating the bottom one right at the base of
7 the bedrock in a material described as silt, gravel,
8 boulder, and I understand that to be HC2-85, piezometer
9 1. I will use a different cross-section, one I have
10 with the interpreted granular units detailed, and it
11 would be more illustrative. I have put up Figure C2.4a
12 from B-618 before the Board, and I would draw your
13 attention to installation HC2-85. As I just indicated,
14 with HC2-85 piezometer 1, it is at depth in the system
15 at the bedrock contact and HC2-85, piezometer 2 is
16 screened partly within what we have interpreted as the
17 upper granular unit and then we have a third
18 installation, HC2-85-3, which I also believe is
19 described as a standpipe variably by Trow, a standpipe
20 typically being a longer screen that straddles the
21 water table. At this point we should note that I
22 believe this is the installation, HC2-85, piezometer 2,
23 which is described as OW-1 with respect to pumping test
24 PW-2 and that is the one for which much data was
25 generated and curves plotted and from that curve



1 interpretations were made regarding the hydraulic
2 character of this unit, this unit being the upper
3 granular unit during the pumping test of that unit. I
4 am drawing your attention to the data provided as I
5 read the document, Exhibit H-174, for the deepest
6 piezometer No. 1, and the standpipe, piezometer No. 3.

7 With reference to page 12 of Exhibit
8 H-174, there are only two entries under the columns for
9 No. 3 standpipe for just piezometer No. 1 and they do
10 not provide a lot of information, except I note that
11 they are on the same page for which the far left entry
12 column records drawdown. I believe this is water level
13 change during the pumping event.

14 If we turn to page 13, the first point
15 to note is looking at the far left two columns where we
16 note that the elapsed time starts at 485 and, turning
17 back to page 12, that is 65 minutes after the last
18 entry on the previous page and the water level on the
19 previous page was 4.79 and on the page in question,
20 being page 13, it is 4.93 and note that as time
21 increases, i.e. the value for the elapsed time
22 increases, the depth from the measuring point also
23 increases. I believe the far two lefthand columns
24 record drawdown data for HCl-85 and I checked that
25 against the plot of the drawdown data -- I think I said



1 HCl-85, and I meant OW-1 or HC2-85. The data at the
2 far left on page 13 appeared coincident with the data
3 plotted in Appendix 10.

4 I make those comments with respect to
5 the fact that I believe we are looking at drawdown data
6 for HC2-85, and the far left entry is for piezometer 2,
7 completed in the upper granular unit. The question that
8 is not clear in my mind is what does the data mean
9 under the column entries No. 3 standpipe and No. 1,
10 which I believe to be HC2-85, piezometer 1.

11 Starting with the entry under column 1,
12 which I believe to be HC2-85 piezometer 1, I note the
13 water levels are declining there. It appears to be
14 1.925, the first entry on that page, 1.93, 1.93 and
15 then 1.94 and then values in excess of 2 and I cannot
16 read some of the data there.

17 Moving to the bottom of the column, we
18 see a total drawdown of 2.335. I understand that to be
19 metres below the measuring point and I do not know what
20 the original water level was prior to pumping for that
21 installation, but I note that at least during the
22 period of elapsed time as recorded in the far left
23 column, an elapsed time starting at 485 minutes and
24 going to 2900 minutes, approximately 2500 minutes, that
25 the water level changes from 1.9 metres from below the



1 measuring point to 1.335 or approximately 0.4 of a
2 metre of drawdown.

3 When I review the pumping graphs
4 provided by Trow in Appendix 10 of their report, I
5 cannot find any data that matches that drawdown.

6 The next entry there, or the one I first
7 referenced, being standpipe No. 3, we notice at the top
8 it is 1.82, the first entry there, adjacent to an
9 elapsed time of 485, and looking down that column, we
10 note the water levels appear to generally rise and
11 there is some oscillation towards the end, and I see
12 1.82 and 1.78 and I can't read the next number, 1.7,
13 1.6, 1.5, and then 1.3s and 1.2s and then down towards
14 the bottom it goes to 1.3, 1.37. I would interpret
15 that, recognizing that this is not particularly
16 conclusive from this figure, the figure being page 13
17 of H-174, but during the pumping event at PW-2, from an
18 elapsed time of 485 minutes to the termination of
19 pumping, that in the standpipe piezometer, the water
20 levels appear to have risen, whereas in the deep
21 piezometer, being OW-1, they appear to have declined.

22 Turning to the next pages, 14 and 15,
23 they are for installation OW-2, and so they do not
24 provide any clarification, as I understand it, to the
25 data we have on page 13. So, pages 12 and 13, as I



1 read it, is the only recorded data from installation
2 OW-1, which I am interpreting to be HC2-85 for the
3 pumping event on the upper granular unit. Recognizing
4 there are a number -- there is some uncertainty in how
5 I have read the data, and it is not in my mind
6 perfectly clear, but I think that my conclusions are
7 reasonably logical, although if there is clarification
8 that could be provided I would appreciate it, but
9 during the pumping of the upper granular unit,
10 piezometer 2 responded and that is the bulk of the data
11 provided on pages 12 and 13. Piezometer 1 also
12 responded by drawing down and that is a deep piezometer
13 in the till and the standpipe piezometer does not
14 appear to have responded to pumping and to the
15 contrary, it appears to have risen. That would suggest
16 that based on that review, that there is a degree of
17 hydraulic isolation between the pumping event in the
18 upper granular unit and the standpipe piezometer being
19 in the upper till and we also note there appears to be
20 a degree of hydraulic connection between the upper
21 granular unit and deeper down in the lower till, as
22 evidenced by the water level change at OW-1 for the
23 deep piezometer.

24 I do not recall any discussion by Trow
25 addressing this point in their description of the



1 pumping tests and I only noticed this last evening in
2 my review, so I have not had a chance to discuss it
3 with Trow to make sure that the information I am
4 providing to the Board is consistent with their
5 recollection of these data sets.

6 MR. ESTRIN: Q. Now, then let's try and
7 understand what you are telling us first of all. Mr.
8 Petrie, let's back up about ten minutes.

9 MR. PETRIE: A. I can.

10 Q. And then we can let the time run
11 again.

12 Your value expressed to the Board or
13 your conservative value for the unweathered upper till
14 was 8.0×10^{-8} and that was without any pumping test
15 data you knew of at the time?

16 A. Correct.

17 Q. What I am saying to you is that it
18 would be appropriate, based on your own research, to
19 put beside that value "optimistic, potentially
20 erroneous...." and you might want to add, "in the
21 absence of pumping tests"?

22 A. And I indicated I did not think it
23 would be appropriate.

24 Q. I asked you what single reason you
25 could give me for that and you said because there is a



1 pumping test?

2 A. That is what I gave you.

3 Q. You reasoning, I suggest, is very
4 circular. Let's go back.

5 MR. McQUAID: You can suggest, but you
6 are not supposed to argue, but ask questions.

7 MR. ESTRIN: I am asking a question. I
8 am saying isn't his reasoning totally circular.

9 Q. Let's go back....

10 MR. McQUAID: Let him answer that
11 question.

12 MR. ESTRIN: Let me finish my question.

13 Q. My question is isn't your question
14 circular, because you have expressed to the Board an
15 opinion that the value to be taken is 8.0×10^{-8} and
16 your own work says that that kind of value is
17 potentially erroneous and optimistic with regard to the
18 reliability of inhibiting waste migration in the
19 absence of a pumping test, and there was no pumping
20 test you were aware of at that time?

21 MR. PETRIE: A. Correct.

22 Q. That is why I say it is fair and
23 consistent with your own writings and research to put
24 that, that kind of wording beside that value, and if
25 you want to qualify it by saying in the absence of a



1 pumping test that would be appropriate. I am
2 suggesting it is consistent with your writings to put
3 "potentially erroneous and optimistic re. inhibiting
4 waste migration in the absence of pumping tests," and
5 wouldn't that be fair, and then we can look at the
6 pumping test to see if we want to change it or not?

7 A. I have indicated to you that I had
8 some concerns with some of the data generated in my
9 Masters project and it may not be appropriate to draw
10 direct conclusions from that.

11 Q. Are you finished?

12 A. Let me think for a moment about
13 that answer. The other thing that has come to light
14 in my reading of these sorts of questions since is that
15 because of this sort of bending effect of the aquitard
16 as a response to pumping I am not entirely sure that
17 the pumping data gives the most reasonable
18 representation of the vertical character or vertical
19 hydraulic character of a till. It gives you
20 reasonable under the stress condition, realizing that
21 pumping is an imposed stress, but the reverse water
22 level fluctuation effects, I am not entirely sure in my
23 mind that pumping tests give the most conclusive
24 picture for vertical flow across a layered system.

25 Q. That is directly opposite to the



1 conclusions you reached as a result of your Masters
2 project?

3 A. Correct, and my Masters project
4 was done in 1984, and I have since done some reading
5 and deliberations to that effect, in the four years in
6 the interim, but you are asking me to ignore my
7 thinking in the last four years and focus on something
8 I wrote at university, and I am indicating that I don't
9 think it is necessarily appropriate.

10 Q. What readings have you done since
11 1985 and, more importantly, what research have you done
12 since 1985?

13 A. I have not done research into this
14 since 1985 or '84, which is the appropriate date. I
15 have done readings of those papers, the ones I have
16 referenced in my thesis, and I have done additional
17 thinking, but I have not done research into it. You
18 are asking for my opinion and I am providing my
19 opinion.

20 Q. You are saying the opinion you
21 reached in your Masters project as a result of your
22 field work is wrong?

23 A. I am not suggesting that at all.
24 At the time that was my opinion and I am indicating I
25 have done additional deliberations and believe that the



1 stress condition induced by pumping also leads to a
2 hydraulic modification of the properties of a till
3 strata, such that I do not believe the pumping data
4 gives you the most realistic picture.

5 Q. Aren't the results you produced
6 completely consistent with the results in the Illinois
7 study obtained through a different method?

8 A. The results of the Illinois study
9 indicate the contrast between the different test
10 methods, yes, and I don't recall if they did pumping
11 tests. I am at a loss.

12 Q. They didn't, they did slug tests
13 and angled boreholes and they found the same change in
14 hydraulic conductivity between that method and the lab
15 method?

16 A. I can only speak to the results
17 you have provided as to that test.

18 Q. Are you not taking those readings
19 into consideration?

20 A. You didn't ask me to take them
21 into consideration, you asked me to take words from my
22 thesis and apply it to the site, and I told you I
23 didn't believe that that is appropriate.

24 Q. So, if we were to look at your
25 thesis or your project paper today, we would delete all



1 those references on which you base conclusions?

2 A. You might.

3 Q. Would you?

4 A. No, it stands as my conclusions at
5 the time.

6 Q. I am asking today, how relevant is
7 that paper?

8 A. How relevant is any historic
9 paper? At the time it was relevant to me and I
10 authored it, and I am indicating to you that I may have
11 done it differently today if I was doing it today, but
12 I am not doing it today.

13 Q. You did conclude regardless of the
14 exact values from the pumping test, that the previously
15 unrecognized unfractured massive till was fractured?

16 A. That was my conclusion, and I
17 noted the rather curious fracture location or geometry.

18 Q. There is nothing you have read
19 subsequently or can produce to this Board that would
20 say that that conclusion was wrong?

21 A. No, I cannot; I am merely
22 indicating to you my deliberations on this subject
23 matter since have led me to slightly different
24 considerations.

25 Q. How about if we put then besides



1 8.0 x 10⁻⁸ centimetres per second, "potentially
2 erroneous and optimistic (Petrie, 1985)" and would that
3 not be fair?

4 A. I do not see the connection. If
5 you ask me to do it, and on your insistence I can, but
6 if you are asking me to agree to it, I have indicated I
7 do not think it is appropriate.

8 Q. It was your opinion when you wrote
9 the paper in 1985?

10 A. 1984, but yes.

11 Q. If we were in 1984, you would
12 agree that those words would be fairly added to that
13 value in the absence of a pumping test?

14 A. In 1984 I would have recommended
15 the pumping test be redone and piezometers installed in
16 the upper till to investigate this possibility.

17 Q. Further investigation was done of
18 that very same till by the person you named yesterday
19 in a subsequent Master's project, wasn't it?

20 A. Correct.

21 Q. He reached essentially the same
22 conclusion as you, did he not?

23 A. No, he did not reach essentially
24 the same conclusion. He noted differences between the
25 response from pumping and from field tests and noted



1 there was quite a range, depending upon the field test
2 method, and he also concluded, I believe, that the
3 stress induced within the system as a response to
4 pumping, as evidenced by reverse water level
5 fluctuations, led him to suggest that stress changes
6 within the system are significant.

7 Q. Have you read this work, as you
8 had it overnight and you lent it to me yesterday so I
9 could make a copy, but the Masters project by Usher?

10 A. I have looked at it but I have not
11 evaluated it in great depth.

12 Q. Do you have a copy?

13 A. I do.

14 Q. Would you agree that this was a
15 subsequent investigation referencing your investigation
16 and was in the same specific area?

17 A. I do.

18 MR. McQUAID: I'm sorry, I didn't get
19 down exactly what Mr. Petrie said, and whether he has
20 had a chance to examine it or not examine it, but if
21 there is going to be an examination in detail, I would
22 certainly ask Mr. Estrin to at least give the latter
23 part of today or defer this until tomorrow morning to
24 give us a chance to examine it, especially if we are
25 going into detail, the numbers and certain pages from



1 the document.

2 MR. ESTRIN: I think Mr. McQuaid should
3 be aware that the witness waved this document around
4 yesterday in response to my cross-examination and
5 suggested he obtained it yesterday or the day before,
6 the evening before, and there was applicable
7 information in here on which he was basing his
8 responses to me. Now, I think on that basis that he
9 has already used it in response to my cross-examination
10 and he should be prepared to answer questions, but if
11 he feels in fairness that he would like further time to
12 review it, I can leave it until tomorrow and I would be
13 happy.

14 Q. What is your choice?

15 MR. PETRIE: A. I think you can pose
16 the questions and if I do not feel comfortable
17 answering, I can say so at the time.

18 Q. I would rather you take the time
19 to review it tonight and I can pose my questions when
20 you are ready?

21 A. I can.

22 Q. Mr. Petrie, you gave me
23 information and responses yesterday based on this
24 paper?

25 A. I did.



1 Q. Had you read it?

2 A. I have.

3 Q. Can't we go through it now?

4 A. As I indicated, I am not
5 intimately familiar with it. I reviewed it and we can
6 go through it, if that is your wish, and, as indicated
7 to you, if you are in an area that requires additional
8 thinking on my part, I will indicate so to you.

9 Q. I think I would rather you took
10 the time so you can be fully comfortable answering
11 questions on this.

12 A. I can do that.

13 Q. Mr. Petrie, I want to come back to
14 8.0×10^{-8} and I want to come back to the flip chart
15 and I want to suggest to you that if we were to say or
16 put beside that number "potentially erroneous and
17 optimistic re. ability to inhibit waste migration in
18 the absence of a pumping test (Petrie 1985)," that that
19 would be accurate, and that's all I am asking?

20 A. In 1985 that was my opinion.

21 Q. Can you put that down and we can
22 put Petrie, 1985?

23 A. You are asking me to write it as
24 your opinion.

25 Q. I am asking you to write that down



1 because you said it would be accurate?

2 A. My thesis was done in '84, so can
3 I write the date?

4 Q. Sure.

5 A. Could you repeat the words you are
6 asking me to write?

7 Q. The words out of your project.

8 MR. McQUAID: Mr. Chairman, we must deal
9 with the evidence as it stands now before the Board.
10 The concern I have with writing it down is when we come
11 to argue the case later in the summer or the fall, that
12 particular notation won't be very helpful to the Board.
13 I don't know, but the question has been asked I think
14 three times, maybe four, and Mr. Petrie says he doesn't
15 think it's appropriate today and I submit the Board has
16 to deal with the evidence today and not an opinion that
17 might have been held three or four years ago.

18 MR. ESTRIN: We are dealing with it in
19 two steps. First of all, he has agreed it would be
20 appropriate to put that as of 1984-85 and then we will
21 go through the reasons why after he has re-read the
22 Usher thesis, why I say, and I am going to suggest to
23 him it is still ought to be his opinion in 1988 and he
24 has no basis for changing his opinion, and it's a two
25 step process, so let's get down what his position was



1 then.

2 MR. LANCASTER: Subject to that
3 qualification, if he is qualified to answer.

4 MR. PETRIE: Could you read me the words
5 you wish to see on this exhibit?

6 MR. ESTRIN: Q. I am referring to page
7 1 of your thesis, and I would simply ask you to adapt
8 them in a short form and I would ask you to put beside
9 that, "potentially erroneous and optimistic re ability
10 to inhibit....".

11 A. "Potentially erroneous and
12 optimistic re ability"

13 Q. ".... to inhibit waste migration
14 without pumping tests."

15 A. All right.

16 Q. You can reference it 1985 or 1984,
17 whichever you feel is more accurate.

18 A. I will go with the date on the
19 document and I indicated to you it was prepared in
20 1984. At Mr. Estrin's request, I have written
21 "potentially erroneous and optimistic re ability to
22 inhibit waste migration without pumping tests (Petrie
23 1985)."

24 Q. If we turn to page 36 of your
25 project paper and look at the words on page 36, at the



1 end of the second last sentence or look at the middle
2 sentence:

3 "Indeed, predictions of the ability of
4 the Maryhill Till to restrict the
5 migration of contaminants based solely
6 on piezometer response and consolidation
7 test results would be overly
8 optimistic."

9 And so it would be fair for you to put in "overly
10 optimistic"?

11 A. If that is your request.

12 Q. Wouldn't you agree....

13 A. I haven't.

14 Q. If we were going back to your
15 conclusions in 1985 or '84, then that would be
16 appropriate.

17 A. As a university student, those
18 were the conclusions I made.

19 Q. Would you put that down?

20 A. Where would you like the word?

21 Q. " Potentially erroneous...." and
22 insert "overly" before the word "optimistic". Could we
23 mark this as M-696R.

24 A. This is M-696.

25 MR. LANCASTER: M-696R.



1 --- EXHIBIT NO. M-696R: Revised version of M-696

2 MR. ESTRIN: Q. All right, Mr. Petrie,
3 we will come back to discuss the pump test aspect of
4 Site D to the extent you feel it is relevant and I want
5 to discuss that with you at the same time I discuss the
6 Usher paper with you tomorrow.

7 MR. PETRIE: A. As you wish.

8 Q. I have heard what you said, but I
9 think that both of these things go together and so I
10 will come back and give you a chance to answer my
11 questions on what you said about the pumping tests at
12 that time.

13 A. Very well.

14 Q. I would like to turn to another
15 aspect of the calculations of impact at Site D, and
16 that is the bit on infiltration. We won't spend a lot
17 of time on this. First of all, I want to deal with the
18 unweathered upper till. In your report, B-618, page
19 40, you say CRA considers that in effect an
20 infiltration rate of 9.6 millimetres per year may
21 reasonably represent the infiltration rate through the
22 unweathered upper till?

23 A. Could you refer me to the page
24 number.

25 Q. I believe it's page 48. Do you see



1 that?

2 A. Yes, I see it.

3 Q. That is a value that you say may
4 reasonable represent the infiltration rate through the
5 unweathered upper till?

6 A. That's what it says.

7 Q. Do you say that today?

8 A. Mr. Hodgson put some exhibits to
9 me in a consideration of the Darcy equation, that my
10 estimates are probably inappropriate, and I agreed that
11 the numbers he put to me were more appropriate than the
12 numbers we have in B-618.

13 Q. What is your evidence since Mr.
14 Hodgson has put some numbers to you. Please refresh
15 our memories. What is your opinion?

16 A. I am trying to find the exhibit.
17 H-647 indicates the Darcy infiltrations and I
18 considered the numbers provided in H-647 as more
19 appropriate.

20 Q. Let's just look at that. Can you
21 tell me please what is your number?

22 A. Considering the Darcy equation and
23 the hydraulic conductivities, the calculated number for
24 deep infiltration of 0.88 millimetres per annum is an
25 appropriate number for the unweathered upper till.



1 However, that is in consideration of our most
2 representative number for the hydraulic conductivity of
3 the upper till.

4 Q. Being what?

5 A. It is indicated above, 1.4×10^{-8}
6 or 10^{-10} metres per second.

7 Q. You are saying that is now your
8 most representative? I thought the most representative
9 number was 8.0×10^{-8} ?

10 A. I believe that was a conservative
11 number, 8.0×10^{-8} ; and using a conservative number you
12 would get a factor of six or so higher than the 0.88.

13 Q. First of all, let's go back.
14 Between writing the report and Mr. Hodgson's
15 discussions with you, you have changed the infiltration
16 rate at Site D by an order of magnitude through the
17 unweathered upper till. You have changed your mind by
18 an order of magnitude; isn't that right?

19 A. The statement is that we
20 considered the value and now we have a calculated value
21 which I consider to be more appropriate.

22 Q. Did you not bother to try and
23 check the value you considered to be appropriate before
24 you wrote it in your report?

25 A. I did not.



1 Q. You did not?

2 A. I did not, Mr. Estrin.

3 Q. Don't you think it would be
4 appropriate in presenting values to this Board in a
5 written document to which you have signed your name,
6 that you ought to have at least given the Board the
7 benefit of checking the calculation and what its
8 implications are?

9 A. Yes, I do believe that and I was
10 remiss in not doing that calculation.

11 Q. I think I would like to discuss
12 with you, because you wrote it in the document, what
13 the implication of 9.6 millimetres per year is because
14 you took it -- it is very simple. Can you just take a
15 flip chart for me. The gradient you have said is the
16 appropriate gradient here, which is on page 47 of your
17 report, and that is 0.2, and if you look at item 1 on
18 page 47:

19 "Strong downward gradients ranging from
20 0.014 to 0.421 occur between the
21 unweathered Upper Till and the
22 underlying strata. These values average
23 approximately 0.2."

24 A. Yes.

25 Q. Let's calculate the hydraulic



1 conductivity values your calculations give us?

2 A. You said calculate a hydraulic
3 conductivity....

4 Q. Based on your gradient and your
5 infiltration of 9.6 millimetres per year in your
6 report. You can do it very quickly.

7 A. You can, but I note it was a
8 consideration and that infiltration may be appropriate,
9 so you are asking me to take a consideration and
10 recalculate the input data.

11 Q. Take the infiltration number you
12 presented to the Board and the gradient number you
13 presented to the Board in your written report and
14 simply tell us -- multiply or divide whichever the
15 right way of doing it is, and give us the hydraulic
16 conductivity that would result. That is Darcy's Law.

17 A. Calculate a hydraulic conductivity
18 from an estimate of infiltration?

19 Q. From your evidence about what was
20 in the report as 9.6 millimetres per year, which may
21 reasonable represent the infiltration rate through the
22 unweathered upper till and I want to see where that
23 takes us?

24 A. Realizing I have since qualified
25 those numbers.



1 Q. I understand.

2 A. Certainly.

3 Q. We can do that, I understand,
4 first of all getting the V_a , the Darcy velocity and
5 converting your 9.6 millimeters to metres per annum and
6 that would be 0.0096 metres per annum?

7 A. Do you want me to check or take it
8 as given? You have asked me to calculate and then
9 given me the answer. It's your cross-examination.

10 Q. Would you write them on the board.

11 A. I can.

12 Q. $V_a = 0.0096$ metres per annum.

13 A. Yes.

14 Q. That comes directly from
15 converting 9.6 millimetres per year?

16 A. It does.

17 Q. Then the K or the hydraulic
18 conductivity is equality to V_a over i , is that right?

19 A. Yes.

20 Q. That would equal 0.0096 divided by
21 0.2?

22 A. Yes.

23 Q. That equals 0.048 metres per
24 annum?

25 A. 0.048.



1 Q. Metres per annum, and I think Mr.
2 Crutcher is checking all of this. I suggest that is
3 equivalent to 2×10^{-7} centimetres per second, and Mr.
4 Crutcher is going through that.

5 A. I get 1.5×10^{-7} .

6 Q. We can take 1.5×10^{-7} . Perhaps
7 someone rounded it off. You would agree that using a
8 gradient of 0.2 and an infiltration rate of 9.6
9 millimetres per year would give you, using Darcy's Law,
10 a hydraulic conductivity of 1.5×10^{-7} centimetres per
11 second for the unweathered upper till?

12 A. Using a considered value for
13 infiltration and doing the calculations you have
14 described with those numbers, yes.

15 Q. Could you label that please and we
16 can mark it as an exhibit and we will label it as CRA's
17 infiltration and gradient values from B-618.

18 A. Could you repeat the title.

19 Q. There may not be enough room and
20 you can put it at the bottom, but hydraulic
21 conductivity calculated from CRA infiltration and
22 gradient values for unweathered upper till - B-618,
23 pages 47-48. Perhaps we could mark that as an
24 exhibit.

25 MR. LANCASTER: M-712.



1 --- EXHIBIT NO. M-712: Chart, hydraulic
2 conductivity calculated
3 from CRA infiltration and
4 gradient values for
5 unweathered upper till -
6 B-618, pages 47-48.

7 MR. ESTRIN: Q. Now, Mr. Petrie, I take
8 it that 1.5×10^{-7} is the number you would have given
9 the Board had you used your values in the report for
10 the hydraulic conductivity of the unweathered upper
11 till?
12

13 MR. PETRIE: A. Had I used a
14 considered calculation to back-calculate a hydraulic
15 conductivity, I would have come up with that
16 mathematical number, yes.

17 Q. But you had some discussions with
18 Mr. Hodgson and have changed your mind?

19 A. That is correct and the numbers I
20 considered were inappropriate.

21 Q. Did you have any discussions with
22 Mr. Hodgson or Mr. Feenstra....

23 MR. HODGSON: I am uncomfortable with
24 "discussion", because it was my cross-examination, but
25 this implies it all happened somewhere else and it
happened here.

MR. PETRIE: Cross-examination is the
word I meant to use.

MR. ESTRIN: Q. That is what I had in



1 mind, but I was going to ask if you had any discussions
2 with Mr. Hodgson or Mr. Feenstra or Mr. Sobanski on
3 this point before Mr. Hodgson cross-examined you on it?

4 MR. PETRIE: A. No, I did not.

5 Q. What about you, Mr. Crutcher?

6 MR. CRUTCHER: A. No, I did not.

7 Q. So, just so I understand it, the
8 relevant number you say today is 0.88 metres per annum?

9 MR. PETRIE: A. Based on the Darcy
10 velocity for the most representative vertical hydraulic
11 conductivity, yes.

12 MR. ESTRIN: Excuse me, Mr. Chairman. I
13 just need a moment.

14 Q. Mr. Petrie, let me see if I
15 understand this. Your 0.8 millimetres per annum is
16 essentially related to a hydraulic conductivity of
17 1.4×10^{-8} ?

18 MR. PETRIE: A. Correct.

19 Q. If the Board concluded that a more
20 representative hydraulic conductivity for the
21 unweathered upper till was in the vicinity of
22 1.0×10^{-7} , then I take it that your infiltration would
23 go back up to what you had originally stated?

24 A. It would be recalculated to the
25 appropriate number, yes.



1 Q. Okay. Now, I would like to turn
2 to infiltration in the weathered till.

3 MR. LANCASTER: This may be a good time.

4 MR. ESTRIN: Thank you.

5 MR. LANCASTER: If you are starting
6 something new.

7 MR. ESTRIN: I am.

8 MR. LANCASTER: Fifteen minutes.

9 --- Recess

10 MR. LANCASTER: Please be seated.

11 DR. KINGHAM: Before we get started, I
12 would like to be clear on what you said before we
13 broke. On page 48 of your exhibit, your Exhibit B-
14 618, you had a value for infiltration which you report
15 as 9.6 or a consideration of 9.6 millimetres per year,
16 based on Trow's work?

17 MR. PETRIE: Correct.

18 DR. KINGHAM: You made that
19 qualification and you made the statement just below and
20 just before the break, are we to understand you said
21 the value might be 0.8 millimetres per year based on
22 the vertical hydraulic conductivity of 1.4×10^{-8}
23 centimetres per second?

24 MR. PETRIE: Correct and it's 0.88 and
25 that number is described as deep infiltration in



1 Exhibit H-647.

2 DR. KINGHAM: Thank you very much.

3 MR. ESTRIN: Q. Mr. Petrie, I would
4 like to turn, as I said before the break, to
5 infiltration in the weathered till and discuss that for
6 a moment. The exhibit you referred me to and which you
7 discussed in cross-examination with Mr. Hodgson, H-647
8 -- we will come to that. You have said in your report,
9 B-618, originally that at least 50 millimetres per
10 annum will go down -- let me start again.

11 You said in your report that 9.6
12 millimetres per annum out of at least 50 millimetres
13 per annum would go down through the unweathered upper
14 till and you told Mr. Tidball that the balance was
15 going out laterally in the weathered till and that the
16 upper weathered till was active and it provided re-
17 supply to surface drainage and discharge to adjacent
18 surface waters; do you recall that?

19 MR. PETRIE: A. Something to that
20 effect, yes.

21 Q. In your report you said that
22 Trow's value for hydraulic conductivity for the
23 weathered upper till of 10^{-5} -- Trow's value of 10^{-5}
24 was conservative?

25 A. Yes.



1 Q. And you said that your
2 conservative value, based on one lab result was 10^{-6} ,
3 page 87?

4 A. Page 87?

5 Q. Page 87 of your report. Do you
6 see that at the top of page 87?

7 A. Yes, and I am not sure if it was
8 based entirely on one lab result, because Trow had done
9 additional work using tritium, as I recall, and this
10 sort of sums the data available, but I see a value of
11 1.0×10^{-6} .

12 Q. I am saying that that's your
13 value?

14 A. Yes, I am saying I see a value
15 there of 1.0×10^{-6} .

16 Q. That is your value?

17 A. It is.

18 Q. I wanted to ask you to go through
19 the calculations based on either what you say is the
20 conservative value of 10^{-6} or Trow's value of 10^{-5} ,
21 having regard to the opinion about infiltration you
22 brought to this Board of 9.6 millimetres per annum.
23 I gave you before the break a piece of paper.

24 A. Indeed.

25 Q. Have you had a chance to look at



1 that and maybe we can go through it?

2 A. I have glanced at it, yes.

3 Q. Let's look at this, Mr. Petrie.

4 You told Mr. Tidball and that expected infiltration at
5 Site D would be in excess of 50 millimetres per annum?

6 A. I recall something like that.

7 Q. Have you changed your mind about
8 that number since you have now come up with 0.88, going
9 through the unweathered upper till?

10 A. We discussed that and in cross-
11 examination it was addressed with Mr. Hodgson.

12 Q. You have also changed the amount
13 of infiltration generally?

14 A. Yes.

15 Q. What is it?

16 A. As I indicated, we are not
17 entirely sure what the infiltration into a fractured
18 clay might be, given you might have some rapid
19 transport through the fractures, discharge to the
20 adjacent surface waters.

21 Q. Would it go up or down?

22 A. I don't know what the precise
23 number is for infiltration into the fractured clay at
24 Site D. I also indicated with respect to landfill
25 considerations, that that horizon, being the weathered



1 and fractured clay, is relatively easily addressed in
2 the engineering phase, and the precise definition of
3 its hydraulic character, in my opinion, is not as
4 necessary.

5 Q. Mr. Petrie, the hydraulic trap's
6 purpose is to prevent leachate from going laterally as
7 well as down?

8 A. Most definitely.

9 Q. Therefore the only way it could
10 have a relatively high hydraulic conductivity in the
11 weathered till -- you must be concerned about the
12 lateral migration of leachate, are you not, if the trap
13 does not work?

14 A. For high hydraulic conductivities,
15 yes.

16 Q. Let's talk about 10^{-5} and that's
17 relatively high?

18 A. It's a modest hydraulic
19 conductivity.

20 Q. What I want to talk about is let's
21 say your value. The point is that the weathered upper
22 till layer is of importance in determining the
23 potential impact by way of lateral migration?

24 A. It potentially has importance,
25 yes.



1 Q. I know your evidence is we can
2 engineer that and put in a cutoff wall or whatever?

3 A. That is the evidence.

4 Q. But Mr. Petrie, in part of your
5 report you are saying that before you ever get to
6 engineering measures and monitoring, you are saying
7 what could be the potential impact of putting waste in
8 those cells and relating that to the ability of the
9 soils themselves to deal with it. That is a first
10 step?

11 A. Yes and no. I beg your pardon,
12 yes, and the 'and no' relates to during the excavation
13 phase of the landfill where one has a chance to examine
14 the whole face of the cell, the sidewalls, and if one
15 had suspicions that maybe the fracturing is more
16 significant than one had initially suspected or there
17 is more seepage from those points, then one can do some
18 works at that point in time. I also noted that
19 experience in Ontario indicates that the upper
20 weathered fracture zone around landfills does not
21 appear to provide for major off-site movement, and I
22 think that is consistent with looking at roadside
23 salting and things like that, where we don't seem to
24 get it spreading a long way across farmers' fields
25 adjacent to roads.



1 perhaps he could lend you his.

2 A. He has offered to do that, yes.

3 Q. This is the paper by Johnson et al
4 and I wanted to direct your attention on the point we
5 have just been discussing, or relative to the point we
6 have been discussing to the first page of that, the
7 righthand column. Could you read the paragraph
8 beginning on the first page, "Earlier that year" on the
9 righthand side?

10 A. "Earlier that year, in February,
11 1982, the IEPA..."

12 The Illinois Environmental Protection Agency:

13 ".... discovered that routine monitoring
14 of wells at the site had shown migration
15 of organic pollutants as far as 50 feet
16 from the trenches in a three-year
17 period. This discovery was a separate
18 issue from the court proceedings and
19 exhumation order. The migration rates
20 were 100 to 1,000 times faster than
21 predicted. Two obvious questions were
22 posed: (1) Why were these organic
23 compounds migrating faster than
24 predicted, and (2) What are the
25 implications to a land disposal of



1 similar wastes at other sites? This
2 research project was designed to provide
3 answers to these and many other
4 questions regarding the impact of land
5 disposal of hazardous wastes,
6 particularly organic liquids."

7 Q. Now, Mr. Petrie, we know it is not
8 proposed to specifically put hazardous organic wastes
9 into the Halton regional landfill site?

10 A. That is my understanding.

11 Q. You will also agree that we
12 develop as part of the leachate organic components....

13 A. Organic compounds are generated
14 within the leachate typically from municipal landfills.

15 Q. We have talked a lot about those.

16 A. Typically the concentrations are
17 very much lower than one encounters at hazardous waste
18 sites, the difference being at hazardous wastes sites
19 one commonly encounters pure organic fluids in some
20 form or another and in municipal landfills we are
21 looking at dissolved solutions and very dilute
22 concentrations by comparison.

23 Q. You will recall from our
24 discussion of this paper and the paper by Herzog, the
25 follow-up on the actual investigations that are



1 Q. Have you ever done a specific
2 investigation of lateral migration through an
3 unweathered clay from a landfill in Ontario?

4 A. I have not looked at lateral
5 migration through an unweathered clay.

6 Q. Sorry, through a weathered clay?

7 A. Many of the landfills with which I
8 am associated are founded on weathered clays.

9 Q. I am asking you if you have made
10 what could be termed as scientific investigation and
11 tried to calculate the rate of migration of leachate
12 through weathered upper till clays in Ontario related
13 to a landfill?

14 A. The one instance I can think of
15 off the top of my head where we have seen a bit of
16 migration was clearly evident from field inspection,
17 that overland flow from sidewall break-outs
18 contributed and water had gone down adjacent to a
19 shallow piezometer.

20 Q. Can you answer my question?

21 A. Could you repeat your question.

22 Q. Have you ever made an
23 investigation and written any kind of report attempting
24 to assess the migration of leachate in weathered clay
25 till around an existing Ontario landfill?



1 A. In conjunction with investigations
2 of such landfills, yes, but specifically, no. I have
3 not published a paper.

4 Q. Have you published or written
5 reports where you have delineated the migration rates
6 and arrived at the effective hydraulic conductivity
7 values?

8 A. I have not.

9 Q. So you are speculating?

10 A. In the absence of contamination at
11 the sites I am thinking of, yes. Typically one looks
12 at migration rates from noting an impact at a point and
13 noting the time at which landfilling occurred and the
14 separation of the monitoring point from the landfill
15 perimeter and arriving at some estimates for lateral
16 migration. I have not seen evidence of such, as I am
17 indicating.

18 Q. Perhaps we could go back to
19 Exhibit 711.

20 A. Could you indicate what that is?

21 Q. It is the Johnson paper. If I had
22 another copy, I would lend you one.

23 A. I know I have it here. Make that
24 the past tense, I had one.

25 Q. I see Mr. Crutcher has a copy so



1 contemplated in the Johnson paper, when we put up --
2 you told me yesterday and agreed that the site that is
3 being discussed and was going to be investigated and
4 then was investigated in the Illinois case had till
5 with similar hydraulic characteristics to that at Site
6 D, and by that I mean similar clay size, sand and till?

7 A. I indicated that was the
8 difference in the tills with respect to the mineralogy,
9 depositional history, length of exposure of the tills,
10 development of soils following ice retreat.

11 Q. My question is simple and that is,
12 they had migration of contaminants of 50 feet in three
13 years and they did a subsequent investigation and they
14 found that fracturing of that supposedly unfractured
15 till as a result of that investigation, right?

16 A. You are referencing the document
17 from yesterday?

18 Q. Yes.

19 A. Yes, I recall they indicated
20 fracturing.

21 Q. They concluded by the test methods
22 they subsequently used that the hydraulic
23 conductivities in the unweathered till itself was
24 greater. Anyway, my point is simple. They had 50 feet
25 of contaminant migration in three years and that raises



1 a concern, fair enough?

2 A. Yes.

3 Q. I guess what I am asking is do you
4 not have a concern and should this Board not have a
5 concern for the residents around Site D about the
6 potential for lateral migration in the weathered upper
7 till?

8 A. It is in my opinion, no.

9 Q. They shouldn't have a concern.
10 Should it not be a subject of thorough investigation
11 before we rely on your opinion?

12 A. With respect to the hydraulics of
13 fractured clays, I believe there is a large amount of
14 uncertainty to that and what is an effective transport
15 porosity, what are the effects of infiltration into it,
16 i.e. the transient gradient effect. We note from the
17 large number of monitoring events in Ontario in the
18 weathered clay profile adjacent to landfill sites, that
19 contamination within those units is not commonly
20 encountered and it is not the general experience. Mr.
21 Feenstra addressed some concerns on that and suggested
22 that trench monitors may be an appropriate method for
23 investigating occurrences of contamination adjacent to
24 landfills. It is the experience in Ontario that
25 weathered upper clay does not provide a major conduit



1 for contaminant migration.

2 Q. That is not your experience and
3 you have had no such experience and you told us that a
4 minute ago?

5 A. No. The question you posed was
6 have I calculated travel rates or something to that
7 effect, and I said we have not encountered
8 contamination adjacent to landfills and I indicated one
9 encounters -- derives estimates of travel rates from
10 contaminant occurrences and noting the time of
11 landfilling and the separation of that occurrence from
12 the landfill.

13 Q. You told me a minute ago that you
14 had done no calculations of travel rates of
15 contaminants in weathered tills around Ontario
16 landfills; is that right?

17 A. I have not encountered any.

18 Q. Have you done investigations?

19 A. The sites I am thinking of were
20 existing sites prior to my exposure to them and I am
21 referencing ongoing monitoring.

22 Q. The answer is no?

23 A. The answer is I have not
24 investigated a new site with respect to the capacity of
25 the upper and fractured till to provide a conduit for



1 lateral migration.

2 Q. Now, let's go back to your
3 infiltration number in the weathered till. You told
4 Mr. Tidball 50 millimetres -- you said in your report
5 at least 50 millimetres would go down through the
6 unweathered till and you have now told us you don't
7 know whether it is 50 and you don't know if it's less
8 and you don't know if it's more?

9 A. I don't recall saying 50
10 millimetres.

11 Q. 50 millimetres of infiltration on
12 the site?

13 A. That I recall saying.

14 Q. But now you are saying you don't
15 know if it's that and you don't know if it's more and
16 you don't know if it's less?

17 A. I really don't know what the
18 infiltration is into a fractured clay medium.

19 Q. If you don't know what it is, how
20 is it that you can say or agree with Mr. Hodgson that
21 it is 0.88 millimetres a year going through the
22 unweathered portion?

23 A. That is based solely on the Darcy
24 calculation for the hydraulic conductivities and
25 gradients posed and represents to my mind a reasonable



1 number. In the fractured material there is a large
2 amount of uncertainty as to what goes on in the
3 fractured material respecting infiltration, transport
4 velocities, et cetera, and I cannot be definitive on
5 that..

6 Q. Let's just look at this
7 calculation. Let's go through this. Take what you
8 told Mr. Tidball and let's start with that.
9 Infiltration to be in excess of 50 millimetres per
10 year, and that is what you told him, right?

11 A. I don't recall the word "excess."

12 Q. In that vicinity?

13 A. 50 millimetres; in that vicinity
14 is what we discussed.

15 Q. You put in your report that Trow's
16 estimate of 9.6 millimetres passing down through the
17 unweathered upper till is reasonable and that is what
18 you put in your report?

19 A. That is correct.

20 Q. You considered that the remaining
21 40 millimetres per annum moved laterally in the
22 weathered upper till?

23 A. Or discharged to surface at some
24 point, yes.

25 Q. You agreed with Trow that the



1 thickness of the weathered upper till is about 4
2 metres?

3 A. Correct, I did.

4 Q. You considered the effective
5 porosity of the weathered till is 0.02 and that's in
6 your report on page 87?

7 A. And recognizing that number was
8 developed from an investigation at Sarnia.

9 Q. That is the number you reference
10 in your report at page 87?

11 A. Correct, I do.

12 Q. Let's consider the water balance
13 over the proposed landfill and let's look at how this
14 is calculated. You take the area times infiltration,
15 which is 1000 metres times 500 metres times your 50
16 millimetres per annum put into metres per annum, and
17 you come up with a figure of 25,000 cubic metres per
18 annum; is that fair?

19 A. That appears correct.

20 Q. Then you calculate the total flow
21 to the unweathered upper till, again the area times 9.6
22 millimetres converted equals 4800 cubic metres per
23 annum?

24 A. It does.

25 Q. More or less. Then we can deal --



1 we get the total lateral flow by subtracting one from
2 the other, 4800 subtracted from 25,000, gives us 20,200
3 cubic metres per annum going laterally?

4 A. Correct. That is the calculation.

5 Q. We can therefore get the Darcy
6 flow in a lateral direction by taking or doing the
7 calculation set out there and we have two sides 1000
8 metres long and a 4 metre thickness and we add two
9 times 500 metre sides, 4 metres thick, which gives us
10 12,000 times the Darcy velocity?

11 A. That appears to be correct, yes.

12 Q. Therefore the Darcy flow laterally
13 would be the lateral flow of 20,200 divided by -- it
14 should read 12,000 and that is equal to 1.68 metres per
15 annum?

16 A. Yes.

17 Q. We take the lateral gradient you
18 provide for us in your report at page 87, 0.005, and we
19 can put it into the formula expressed there and we get
20 a Darcy velocity of 1.68?

21 A. Yes.

22 Q. Then we can calculate hydraulic
23 conductivity of the weathered till by dividing the
24 lateral gradient into the Darcy velocity, which equals
25 336 metres per annum?



1 A. That is correct.

2 Q. Which if converted to hydraulic
3 conductivity values would give you 1.0×10^{-3}
4 centimetres per second?

5 A. That is mathematically correct,
6 yes.

7 Q. If we wanted to calculate the
8 lateral groundwater velocity, we could take the
9 porosity and divide it into the Darcy velocity as set
10 out there and it tells us we would have lateral
11 groundwater velocity of 84 metres per annum?

12 A. Can I just check that one. Mr.
13 Crutcher tells me he checked it and yes, I can take
14 that.

15 Q. Therefore, the time required for
16 groundwater to move laterally off-site is the distance
17 divided by the groundwater velocity, say 100 metres of
18 buffer divided by 84 metres per annum equals 1.19
19 years?

20 A. That is what it says, yes.

21 Q. Mr. Petrie, that would be the
22 result of the infiltration numbers that you presented
23 to this Board in your written report?

24 A. That is correct.

25 Q. You did not do that calculation, I



1 take it, when you wrote your report?

2 A. No, I indicated I did not. The
3 concern with doing that is what do those flow rates
4 mean, because we have streams and uptake from plants
5 and discharge from the fractures to surface in some
6 fashion and I do not know what the infiltration into
7 the weathered clay is.

8 I indicated that based on the
9 information provided in H-647, that I thought our
10 numbers were not appropriate, but you have taken an
11 inappropriate number and back-calculated a hydraulic
12 conductivity.

13 Q. I have taken the number that you
14 wrote and presented to the Board originally and which
15 you continued to stand by when you were cross-examined
16 by Mr. Tidball, right?

17 A. That is correct, and I indicated I
18 was remiss in not doing the supporting calculations.

19 Q. Mr. Petrie, 10^{-3} centimetres per
20 second is consistent with almost an aquifer situation?

21 A. A value of 10^{-3} for hydraulic
22 conductivity is what one generally considers an
23 aquifer.

24 Q. That would provide lots of
25 recharge to adjoining ponds and streams?



1 A. It would if that indeed was a
2 realistic value.

3 Q. Mr. Petrie, in the back of Dr.
4 Charlesworth's report there is a map of the area,
5 Exhibit M-438?

6 A. Yes, I do have it somewhere.

7 Q. M-438. While we are doing that, I
8 wonder if we could mark this calculation as the next
9 exhibit?

10 MR. LANCASTER: M-713.

11 --- EXHIBIT NO. M-713: Calculation of hydraulic
12 conductivity of weathered
upper till, based on CRA's
evidence, Site D.

13 MR. ESTRIN: Q. Can you put that up?

14 MR. PETRIE: A. I don't know which one.

15 Q. The general site plan.

16 A. Does it have a figure number?

17 Q. Figure 1.

18 A. I have it.

19 Q. I want you to look at Figure 1
20 from that and look at the margin and can you confirm
21 that there is a symbol that would indicate ponds?

22 A. There is a symbol which indicates
23 ponds, yes.

24 Q. I wonder if you could take a
25 highlighter and highlight some of the ponds on and



1 around, particularly south of Site D. Take whatever
2 colour you like, as long as it can be seen?

3 A. Yellow?

4 Q. Sure. I draw your attention
5 first of all to what appear to be some symbols for
6 ponds around HC8-84?

7 A. There are two symbols for ponds,
8 and you would like me to highlight those?

9 Q. Yes, please.

10 A. There is a symbol for a pond
11 underneath HC4-85 or just south of, and there is a
12 symbol for a pond just to the left of HC6-85 and moving
13 further south....

14 Q. South along Highway 25?

15 A. We have one there, a well, I
16 believe a well indicated as 33HC and further south --

17 Q. I think we can go over to the west
18 of the site?

19 A. There is a small symbol for a pond
20 near 5663 to the west of the site and one further south
21 near 2459, which is just adjacent to the end of the
22 cross-section marked RB and one crossing the road and
23 moving a little farther south and there is one adjacent
24 to something called 8HC, and I believe it probably
25 refers to this pond.



1 Q. There may be more, but those are
2 sufficient for my purposes. Thank you.

3 A. I have coloured in yellow on the
4 legend.

5 Q. I am not sure if you were here for
6 the evidence of any of the homeowners, the residents
7 around Site D?

8 A. I was not.

9 Q. I want to show you an exhibit, Mr.
10 Petrie, that was put in when these people who live and
11 work around Site D were testifying before the Board,
12 Exhibit MR-562, and I will ask you to assume that these
13 are pictures of the Winter's farm.

14 A. Mr. Winter's farm.

15 Q. Yes. I will ask you to assume
16 that Mr. Winter's property is located at the point I am
17 indicating in Figure 1 of the Geocon report, which is
18 around 33HC?

19 A. I can assume that.

20 Q. I am also directing your attention
21 to a picture in the bottom righthand corner of Exhibit
22 MR-562, which shows water in the foreground and what
23 appears to be a drainage channel going into the picture
24 into a woodlot about mid-point in the picture?

25 A. I see that.



1 Q. I will ask you to assume that the
2 water you see in the foreground is the pond that you
3 have coloured yellow beside 33HC on Figure 1 from the
4 Geocon report?

5 A. I can assume that for your
6 purpose.

7 Q. I will also ask you to assume that
8 what has been described as the drainage channel going
9 back to the woodlot is -- well from the Geocon report,
10 would you agree that there appears to be a drainage
11 channel going in a northwesterly direction back into
12 Site D?

13 A. There appears to be that.

14 Q. Now, this picture, Mr. Petrie, is
15 entitled Water Impoundment Fed by Site D - Drainage
16 Channel.

17 A. That is how it is entitled.

18 Q. I will ask you to assume that Mr.
19 Winter testified that he waters cattle out of that?

20 A. I can assume that.

21 Q. Mr. Petrie, are you able to tell
22 the Board that the water in that pond we see in Exhibit
23 MR-562, are you able to tell the Board the source of
24 the water?

25 A. Following the assumptions you



1 have asked me to assume, it appears to be from the
2 surface water at Site D.

3 Q. Could it also be, the water in the
4 pond, quite likely be a function of groundwater
5 recharge happening through the weathered upper till?

6 A. There is undoubtedly some
7 groundwater getting into it, and I think surface water
8 is the dominant component into such an impoundment.

9 Q. Wouldn't it be reasonable and
10 conservative to assume that some of the water in Mr.
11 Winter's pond is being recharged through the weathered
12 upper till? You have told us that that is an active
13 zone?

14 A. Water moves in that zone. It
15 could. I expect it is minuscule at most.

16 Q. But you don't know?

17 A. I can't give you a number.

18 Q. Mr. Petrie, I suggest the
19 calculation we have done in M-713, based on the numbers
20 you originally brought to this hearing, are quite
21 consistent with water flowing through the weathered
22 upper till, or at least travelling through the
23 weathered upper till and providing a source, some
24 source of the water in Mr. Winter's pond, and that
25 calculation I am suggesting is consistent with that?



1 A. Yes, and I considered. I don't
2 agree with that.

3 Q. But you have no basis of
4 investigation at or around Site D to come to that
5 conclusion; is that fair?

6 A. I cannot agree with the hydraulic
7 conductivity of 10^{-3} for the weathered upper till.

8 Q. That is because you have changed
9 your mind about infiltration?

10 A. In part. I cannot agree with that
11 number for the upper weathered till independent of an
12 infiltration calculation.

13 Q. You can't tell us what the
14 infiltration is?

15 A. I can't tell you what the
16 infiltration is, but I have indicated I don't believe
17 it is an appropriate hydraulic conductivity for the
18 weathered upper till.

19 Q. But the water in Mr. Winter's pond
20 is coming from somewhere?

21 A. The water in Mr. Winter's pond is
22 most probably surface water from runoff from his fields
23 and adjacent fields, yes.

24 Q. Mr. Petrie, you would agree that
25 Site D is a local headwaters area. It is a drainage



1 divide?

2 A. Yes, there is drainage flow.

3 Q. Waters originate, and surface flow
4 as well as I suggest, in the shallow weathered till
5 from Site D and run in various directions?

6 A. That is fair.

7 Q. All right. I would now like to
8 turn to another topic. I would now like to discuss
9 with you -- can we turn to your Exhibit B-618, page 11.

10 Could you read the second and third
11 paragraph on page 11. I guess I should back up and ask
12 you -- this is in Section A of your report, and the
13 general context of Section A, as I understand it, is to
14 give CRA's definition of hydrogeological suitability
15 for landfilling?

16 A. That is correct.

17 Q. And as part of your definition of
18 determining hydrogeologic suitability, I take it you
19 have concluded that an impact assessment ought to be
20 done?

21 A. Correct.

22 Q. I am directing your attention to
23 page 11, and I would like you to read the paragraph
24 beginning, "It is the intention."

25 A. "It is the intention of an impact



1 assessment to demonstrate that, based on
2 the observed hydrogeologic system and
3 the proposed engineered landfill system,
4 that operation of the landfill will meet
5 accepted criteria regarding groundwater
6 quality at the site boundary."

7 Q. Stopping right there, you will in
8 part base your impact assessment on observed
9 hydrogeologic systems and the proposed engineered
10 landfill system?

11 A. The hydrogeologic system is
12 singular there.

13 Q. But in part that is what it would
14 be based on?

15 A. Yes.

16 Q. Would you read the next paragraph?

17 A. "It should be pointed out,
18 however, that the effects of a failure
19 of the engineered system must also be
20 assessed. This is assessed by assuming
21 that there is an uncontrolled build-up
22 of leachate in the site which has the
23 effect of increasing the rates of
24 groundwater flow and reducing the time
25 of arrival of contaminants at the site



1 boundary."

2 Q. Now, that is another significant
3 component of an impact assessment in your opinion?

4 A. It is.

5 Q. In part C of this report you
6 attempted an impact assessment of Site D, or at least
7 what you call a suitability analysis, I take it?

8 A. Could you direct me to a page?

9 Q. I am looking at page 76 and the
10 heading there....

11 A. I see the heading, yes.

12 Q. Is that what you were trying to do
13 in part C, in effect do an impact assessment or at
14 least a suitability analysis?

15 A. In general. We had noted at this
16 point in our report that Trow were conservative in our
17 opinion with respect to their assessment of the site
18 and I believe we note that their assessment of the site
19 indicates that the site is suitable and we are also of
20 the opinion that the site is suitable for landfilling.

21 Q. I am just trying to understand,
22 but what you were trying to do was make up your own
23 mind, based on an impact assessment and interpreting
24 all the data, whether or not in your view the site was
25 suitable?



1 A. In general, yes.

2 Q. That would include, or should
3 include, according to your principles on page 11,
4 assessing the impact of the failure of engineered
5 systems?

6 A. That is what Trow have done and
7 we are of the opinion that their assessment was
8 appropriate.

9 Q. I understand what you are saying,
10 but however you got there, it was appropriate for an
11 impact assessment to be done which assumed there was an
12 uncontrolled build-up of leachate?

13 A. Yes.

14 Q. In doing your impact assessment or
15 in determining that Trow's impact assessment was
16 appropriate, what I am really addressing my mind to is
17 your opinion, CRA's opinion here, but it's quite clear
18 from what you have said before in evidence that CRA did
19 not consider a hydraulic conductivity for waste of 10^{-5}
20 centimetres per second?

21 A. We considered it was
22 inappropriate.

23 Q. You did not consider a scenario
24 which had a waste hydraulic conductivity of 10^{-5} ?

25 A. No, we did not.



1 Q. Indeed, Mr. Petrie, on numerous
2 occasions during your evidence, you said a hydraulic
3 conductivity for waste of 10^{-5} considered by Dr. Rowe
4 in his cases 2 to 5, and 2 to 5 where with the leachate
5 collection system operating as designed....

6 A. I recall that.

7 Q. You said the hydraulic
8 conductivity of 10^{-5} was "unreasonable and
9 implausible"?

10 A. That is our opinion, yes.

11 Q. Those are very strong words,
12 correct?

13 A. Yes.

14 Q. They imply to me that you consider
15 it virtually impossible that the waste could have a
16 hydraulic conductivity of 10^{-5} ?

17 A. The waste within the landfill
18 being municipal waste over the area of the landfill,
19 yes.

20 Q. That is what you are telling the
21 Board?

22 A. That is what Mr. Crutcher and I
23 are telling the Board.

24 Q. Mr. Crutcher, I would like to
25 confirm my understanding of your evidence on this. I



1 am giving you an excerpt from the transcript, Volume
2 110 and beginning at page 26538. This was the
3 examination-in-chief by Mr. McQuaid of you, and I
4 wonder if I could get the Board's copy?

5 DR. KINGHAM: Our copies seemed to stop
6 at 107. I know we have up to 112 upstairs.

7 MR. ESTRIN: Mr. Hodgson has kindly
8 suggested you could borrow his.

9 Q. I am at page 26538. You see you
10 are being questioned by Mr. McQuaid about line 8 where
11 he says:

12 "Q. I guess I would ask you, Mr.
13 Crutcher, first of all as I understand
14 it you are going to address column 2,
15 the hydraulic conductivity of the waste?

16 A. That is correct."

17 And he goes on to ask you a question at
18 line 16 and you respond:

19 "A. Dr. Rowe in the preparation of the
20 table provided essentially the input
21 data to his model and a number of the
22 parameters and specifically the
23 hydraulic conductivity of waste which I
24 am addressing we believe are not based
25 on realistic assumptions. The item I



1 am initially addressing is where he
2 utilized a permeability of the waste of
3 1×10^{-5} cm/sec.

4 Q. What cases should we be looking at
5 for that?

6 A. That refers to cases 2 to 5."

7 And then going over the page, you say:

8 "In this particular area, cases 2 to 5,
9 he utilized the waste permeability of
10 10^{-5} or 1×10^{-5} cm/sec. We have not,
11 in our experience, found such a
12 permeability of the waste. That
13 permeability is -- I would call it
14 excessively low. The design
15 permeability which is typically used by
16 the industry as a whole is 10^{-4} cm/sec."
17 Did the transcript get all those
18 comments right?

19 MR. CRUTCHER: A. Yes, flexible I
20 believe I said.

21 Q. You go on to say, around line 13:
22 "Any testing that I have been involved
23 in in dealing with the permeability of
24 the waste has never encountered a
25 permeability up to that range."



1 A. Yes.

2 Q. Is that correct?

3 A. Yes.

4 Q. You go on to say at the bottom of

5 the page, line 25:

6 "Our submission to the Board is that a

7 permeability of 10^{-5} is unrealistic."

8 A. Yes.

9 Q. That is your evidence?

10 A. It is.

11 Q. Mr. Crutcher, could you turn up a

12 page for a flip chat?

13 A. Shall we mark this one?

14 Q. We should before we leave that.

15 Can we mark Figure 1 from the Geocon report, which has

16 been coloured in yellow by Mr. Petrie with the ponds in

17 the vicinity of Site D, as Exhibit M-438-1 if there

18 isn't already such a number. I don't know.

19 MR. LANCASTER: Yes.

20 MR. ESTRIN: Or F1, to make it clear.

21 --- EXHIBIT NO. M-714: Figure 1 from Exhibit M-438

22 with ponds marked.

23 MR. HODGSON: I'm sure that's in

24 evidence and I know I have put a portion of that in

25 evidence and I am sure the original was in evidence.

First of all I wonder, as a precaution,



1 if it would be possible -- we are getting into the
2 problem of taking the same documents and putting on a
3 piece of information on it and marking it as a new
4 exhibit and I think it would be more appropriate to go
5 to the document room and pull out the original and put
6 it up and add what we need to add where appropriate,
7 understanding there are circumstances where you want to
8 start with a new one, but I think this should carry
9 M-714 because I think it will be confused with the
10 original.

11 MR. ESTRIN: I have no problems;
12 whatever is most helpful.

13 MR. LANCASTER: Perhaps it should be
14 M-714. I know it is included on one exhibit, but when
15 it is used separately...

16 MR. ESTRIN: It would be?

17 MR. LANCASTER: M-714 and it will be
18 Figure 1 from Exhibit M-438.

19 MR. ESTRIN: Q. My question to you, Mr.
20 Crutcher, is can you list for me on that chart the
21 landfill sites where you have personally performed
22 tests to determine the hydraulic conductivity of
23 wastes. Could you list them please?

24 MR. CRUTCHER: A. Normally that is an
25 outcome of what we observe at the site and I am saying



1 that a test has been done and I think I referenced
2 within the transcripts the Keele Valley, and that was
3 not specifically a test but more the outcome of the
4 results.

5 Q. My question is fairly specific.
6 List the sites where you have made a specific
7 investigation of in situ waste to determine hydraulic
8 conductivity?

9 A. I have not undertaken a particular
10 test for that, but what I have done is seen the results
11 and I am referring to that.

12 Q. You haven't done any such
13 investigation yourself?

14 A. Not personally, no, but I am
15 saying you can back-calculate from other work that has
16 been done.

17 Q. People have back-calculated and
18 perhaps you have back-calculated and I am asking
19 whether you personally determined the in situ values?

20 A. I have not undertook to go to a
21 site for the sole purpose of determining the
22 permeability of the waste and undertaken a test
23 designed solely for that purpose.

24 Q. And has your firm?

25 A. I can only speak from my knowledge



1 of the projects I am aware of that the firm has
2 undertaken, so no, I am not dealing with that
3 specifically. I am also indicating that you can see
4 the outcome of a 10^{-5} centimetre per second waste, and
5 we have not seen the outcome of that.

6 Q. Mr. Crutcher, we have that
7 evidence already in the transcript; I am asking you a
8 more specific question.

9 MR. McQUAID: You don't have to keep
10 asking the same question again and again. He said he
11 didn't do the test but he has seen the results, and you
12 don't have to ask him five times.

13 MR. ESTRIN: That is not what he said
14 and let's get it clear.

15 Q. If I was to ask you to put down on
16 the flip chart, landfill sites where I have
17 investigated in situ hydraulic conductivity of waste,
18 the answer is zero, correct?

19 MR. CRUTCHER: A. Specifically for that
20 issue, yes.

21 Q. The same answer would be true, as
22 far as you know, for your firm?

23 A. I am not aware of any that we have
24 done.

25 Q. Mr. Petrie, I take it you are in



1 the same position?

2 MR. PETRIE: A. That is correct.

3 Q. You have both read Dr.
4 Charlesworth's report, the Geocon report on Site D?

5 MR. CRUTCHER: A. Yes, I have, and I
6 know Mr. Petrie has.

7 Q. And you recall that Dr.
8 Charlesworth in that report expresses an opinion that
9 it is reasonable to consider a hydraulic conductivity
10 of 10^{-5} centimetres per second for waste in determining
11 the potential impact of system failure?

12 A. Could you refer me to what page?

13 Q. Sure, turn to page 5-13 of M-438.
14 Could you read, please, the first paragraph on page 5-
15 13 under the heading of 5.3.5, Refuse?

16 A. "Trow (Ref .1) have assumed a
17 value of 10×10^{-4} cm/sec for the
18 hydraulic conductivity of the waste.
19 Reported values in the literature range
20 from 10^{-2} to 10^{-5} cm/sec (Ref. 7, 8 for
21 hydraulic conductivity of refuse)."

22 Q. Just read the next paragraph.

23 A. "In view of the fact that Dr.
24 Rowe's modelling indicates that the
25 hydraulic trap is sensitive to the



1 hydraulic conductivity of the waste, and
2 that with a hydraulic conductivity of
3 10^{-5} cm/sec, the trap will fail, it is
4 important to assume a conservative
5 value. Given that the two references
6 cited above both quote values as low as
7 10^{-5} cm/sec in the refuse, it is
8 realistic to model the proposed landfill
9 assuming a refuse hydraulic of 10^{-5}
10 cm/sec as one of the possible
11 scenarios."

12 Q. All right. You gentlemen in your
13 -- in the cross-examination by Mr. McQuaid and
14 subsequently in your evidence in-chief, you gentlemen
15 took the Board to one of those references; do you
16 recall that?

17 A. We referred to the Board to what
18 information we had on the Fresh Kills landfill.

19 Q. What about reference 7, the Hughes
20 article?

21 A. I believe that is an Illinois
22 article, eastern Illinois, 1972 or something in that
23 order.

24 Q. Did you review that reference?

25 A. I was quite aware of that



1 reference and that document, it has been referenced
2 many, many times, it is a very early document dealing
3 with landfills.

4 Q. Let's look at it. This is just
5 one page, and the witness said he reviewed it and is
6 familiar with it.

7 DR. KINGHAM: Could we have another
8 copy?

9 MR. ESTRIN: I am sorry.

10 Q. This is, you will agree, what the
11 reference is in Dr. Charlesworth's report to Hughes?

12 MR. CRUTCHER: A. From the title, yes.

13 Q. This article, or this booklet, and
14 it was really a booklet which this is, and it is really
15 one of the earlier standard texts on solid waste
16 disposal and hydrogeological investigations that was
17 very much used or referred to in the seventies?

18 A. Yes, and that is where I was
19 familiar with it.

20 Q. You know George Hughes?

21 A. Yes.

22 Q. Who is he?

23 A. He has a doctorate and he works
24 with the Ministry of the Environment, I think, in
25 policy, and I think Miss Hewetson actually works for



1 him.

2 Q. He has a doctorate and is he not a
3 renowned hydrogeologist?

4 A. Yes.

5 Q. Do you respect his opinion?

6 A. At some length.

7 Q. I take it you know R.N. Farvolden?

8 A. Yes, I do.

9 Q. Mr. Petrie, I take it you know R.N
10 Farvolden?

11 A. Yes, I do.

12 Q. He was your Masters project
13 supervisor?

14 A. He was indeed.

15 Q. The same gentleman who is now at
16 the University of Waterloo in what department?

17 A. Earth Science, and in that
18 capacity he acted as my supervisor.

19 MR. CRUTCHER: A. If it means anything,
20 I know Mr. Landon was well.

21 Q. I don't know him. Who is he? I
22 don't really care, but if you think it is relevant...

23 A. It is not relevant, but since you
24 were going through the names....

25 Q. Mr. Crutcher, can we look please



1 at Table 15 from Hughes et al, and you see on page 108
2 there are well numbers on the left and the second
3 column says Material set in and then if you look down
4 that column you will see the heading of Refuse?

5 A. Yes, I do.

6 Q. You will see there are three wells
7 listed under that heading of refuse and when we go to
8 the third column on the left, the hydraulic
9 conductivity is set out and for the first well listed,
10 MM30, the reported value is greater than 8.5×10^{-3} ?

11 A. I see that.

12 Q. For the second well, LW 1C, there
13 is nothing reported, and the comment is -- first of all
14 there may be a comment with regard to the first one and
15 I think you have to draw a line to get it clear.
16 8.5×10^{-3} and if you put a rule under that whole line,
17 MM30, 8.5×10^{-3} and extend it over to the righthand
18 side, I think you would see the comment is, "Too fast
19 for accurate measurement."

20 A. I see that.

21 Q. The second one is LW 1C no value
22 reported and the comment is "Too slow - screen probably
23 clogged."

24 A. I see it.

25 Q. Then LW10B and a value of $2.2 \times$



1 10⁻⁵ and no comment beside that?

2 A. Yes.

3 Q. That was a value reported in a
4 study by both Drs. Hughes and Farvolden, gentlemen
5 whose reputation in this area you respect and have you
6 any reason for quarrelling with that reported value?

7 A. I assume that that is what they
8 measured from their slug tests they undertook and I
9 don't believe it's a representative number of a
10 landfill site, but I can concur they have reported that
11 number, yes.

12 Q. You told us you are familiar with
13 the study and would you not agree that this value was
14 obtained from a study of a landfill site?

15 A. It's a study of a slug test, and I
16 don't recall how they did it, but I assume they had a
17 well within the refuse and they undertook a slug test
18 on that, but I don't believe that that's an appropriate
19 way to determine the permeability of the waste. You
20 are looking at a permeability of a waste as a whole and
21 there will be individual parts within the site that
22 have lower and higher permeabilities and what you are
23 looking at is what is the overall permeability of the
24 waste. What I have indicated is I have never seen the
25 overall waste mass have something like 10⁻⁵, and that's



1 -- and if you calculate, as Dr. Rowe indicated, you
2 would have very high mounds within landfill sites, and,
3 as matter of fact, I think it was shown in cross-
4 examination with Dr. Rowe that you would have leachate
5 coming out of all the side slopes and you would have an
6 incredibly high leachate head, and I am just saying I
7 have never seen that type of leachate mound in a
8 landfill site and I just have not seen any evidence of
9 that type of permeability for the waste.

10 Q. Can you answer my question which
11 is have you ever conducted a pumping test to determine
12 the hydraulic conductivity of waste?

13 A. I have not.

14 Q. Do you know of your firm has
15 undertaken?

16 A. I am not aware of one
17 specifically. We may have done a pumping test for
18 another purpose, but I am not aware of it.

19 Q. Now, I would like to show you
20 something else. Do you have the Phase II Morrison
21 Beatty report on Site F, and I believe you referred to
22 it at one point or another. I don't believe the whole
23 report is an exhibit and we don't need to get into the
24 report. I am, however, showing you a couple of pages
25 from it. Could we mark that excerpt from the Hughes



1 article as the next exhibit?

2 MR. LANCASTER: M-715.

3 --- EXHIBIT NO. M-715: Hydrogeology of Solid
4 Waste Disposal Sites in
Northeastern Illinois.

5 MR. ESTRIN: Q. What I want to do is
6 look at the log for well OW-15. Could you confirm by
7 reference to the Morrison Beatty report or your own
8 report which indeed references some values from this
9 log, that this borehole relates to a hole in the
10 Bayview landfill site?

11 MR. CRUTCHER: A. I was just conferring
12 with Mr. Petrie. Yes.

13 Q. If is possible, Mr. Petrie, could
14 you put up a map to show us where this hole, OW-15 is?

15 MR. PETRIE: A. I believe you have it
16 on the cross-section on one of these exhibits.

17 DR. KINGHAM: It is also on page 19 of
18 B-617.

19 MR. PETRIE: It is shown on M-437-D5
20 and it has been added on in my handwriting, MB15 and
21 this is not the appropriate exhibit as it does not
22 intersect the waste.

23 MR. ESTRIN: Q. I think we had better
24 look at another one.

25 MR. CRUTCHER: A. The log indicates



1 a very low number and you would have very high leachate
2 levels in landfill sites all over the place, and we
3 don't have that type of leachate levels in landfill
4 sites.

5 Q. I know what your expectation is,
6 but I am asking you to confirm simply that this value
7 of 10^{-5} or 2.2×10^{-5} was indeed reported from a test
8 in refuse in a waste disposal site in Illinois. Have
9 you any basis for disagreeing with that?

10 A. No, and I can see you could get
11 that, but you could have the well screen sitting in an
12 interim cover and an interim cover could have that
13 permeability. You have to look at more like doing
14 pumping tests on sites and looking at how the heads
15 build-up in the site and leachate collection systems
16 and then you will get a better appreciation of the
17 permeability of the waste.

18 Q. Have you ever done that?

19 A. All the sites we are involved in
20 have that.

21 Q. I am asking you if you did all
22 those steps?

23 MR. McQUAID: Come on. The witness
24 indicated he has seen results from many sites, and he
25 said he hasn't done a specific test and to put it on



1 this narrow basis is just not helpful to the Board.
2 The witness was answering the questions because he said
3 he has seen results, and the Board is entitled to have
4 the answer and have the results that have been seen and
5 I submit he should be entitled to finish his answer.

6 MR. ESTRIN: I will let him finish his
7 answer.

8 Q. Are you finished?

9 A. I don't recall.

10 Q. You told me there were three steps
11 you would do in order to get the true hydraulic
12 conductivity of waste, and would you remind repeating
13 those for me? One included a pump test.

14 A. If you wanted the permeability of
15 the waste in a particular area, I believe the
16 appropriate way would be by doing a pumping test. I
17 would say that you could get an appreciation of the
18 site as a whole, which is essentially what we are
19 looking for, looking at the permeability of the waste
20 of the site as a whole, you can look at how the site is
21 performing with a leachate collection system and what
22 sort of head build-up there is in the site which has
23 developed. There is the head build-up and that is the
24 whole gist of what the permeability of the waste is,
25 and I am saying, taking a look at sites having a 10^{-5}



1 there is refuse at that well if it's of help.

2 MR. PETRIE: A. Dr. Kingham
3 referenced page 19 of B-617.

4 Q. If it's quickly available, we can
5 go to page 19 of your Site F report. We can look at
6 page 19 and, Mr Crutcher, can you confirm for me that
7 OW-15 is located in the garbage in the Bayview sanitary
8 landfill site and in the area where waste has been
9 disposed of?

10 MR. CRUTCHER: A. Yes, and that was my
11 understanding, that it was on the southern slopes or
12 southern toe of the landfill site at Bayview.

13 Q. Now, if we turn to the second page
14 of this handout which has four pages, you will see
15 there are some construction details for borehole OW-15,
16 and I am directing your attention specifically to
17 piezometer 9?

18 A. I see that.

19 Q. You would agree with me that it is
20 stated to be screened between 8.23 and 9.14 metres?

21 A. Yes.

22 Q. If we turn back to the first page
23 of this document, we can see the symbolized location of
24 the piezometer, can we not?

25 A. Yes, I see that.



1 Q. It is just above the line that
2 would be 9.1 metres down?

3 A. Yes.

4 Q. That is consistent with the
5 construction details, more or less?

6 A. It appears to be.

7 Q. Then, the opening at which this
8 piezometer is taking water is where? Can you draw it
9 on your copy?

10 A. It is essentially from -- we have
11 the screen interval from 8.23 to 9.14 and the seal
12 placed -- the lower part of the seal is 7.62, so I
13 would assume it is taking water essentially from 7.62
14 to 9.14, assuming it was constructed properly, and I
15 assume the highlighted mark on the graph is a seal.
16 Yes, it appears that the highlighted mark is the
17 approximate location of the seal.

18 Q. You have an original copy and you
19 can see the faint markings on the original and these
20 were highlighted to make sure they would show up on the
21 photocopy, but you can compare it to the original you
22 have. The interval drawing water is approximately 7.62
23 to what?

24 A. 9.14 I believe the actual number
25 was.



1 Q. And you agree that the description
2 that is in the lefthand column for that horizon of
3 between 7.62 and 9.1 is "REFUSE, wood, cloth, plastic
4 with grey silt fill..."?

5 A. And "odorous," yes.

6 Q. That's what it reads?

7 A. Correct.

8 Q. Could you turn please to the
9 fourth page of this document. This is out of your
10 report on Site F, and I would direct your attention to
11 OW-15, piezometer 9, the third entry from the bottom of
12 the page?

13 A. I see that.

14 Q. Would you please read the
15 hydraulic conductivity value which you have put down in
16 your report?

17 A. 2.5×10^{-5} and I assume that is
18 actually referenced out of one of the documents in
19 Morrison Beatty where we obtained that.

20 Q. 2.5×10^{-5} centimetres per second?

21 A. Yes.

22 Q. There is a reported value for the
23 hydraulic conductivity of refuse at the Bayview
24 landfill site in the Region of Halton, right?

25 A. That that location, yes.



1 I also note there is not much of the
2 leachate head built up at that particular point and
3 there is about, I would guess, looking at it, just a
4 little over two metres of leachate head and in fact if
5 the refuse was 10^{-5} as a whole, you would expect
6 pinning the exact location from the toe, the distance
7 from the toe considerably more head if the refuse was
8 all 10^{-5} . As I indicated, I don't know exactly how
9 these tests were taken, but I assume that is a slug or
10 recovery test and my evidence is that I have not
11 observed a refuse mass having an average value of 10^{-5} .
12 There would be locations within the refuse that may
13 have that but, as a whole, I have not observed that.

14 Q. I would like to ask you a
15 question. Did you know about that value for refuse in
16 the Bayview Park landfill site that I have brought to
17 your attention at this point in time prior to giving
18 your evidence in-chief? Had it been brought to your
19 attention?

20 A. I don't recall. I am aware of the
21 Bayview landfill site because we have installed the
22 leachate collection system and I am also aware of the
23 head within the landfill site and where there are
24 seepages at the site.

25 Q. You weren't aware of that



1 particular reported value for refuse?

2 A. I don't recall it. I may be aware
3 of it, but I have not reviewed these documents, but I
4 reviewed an incredible number of numbers.

5 Q. Do you not think that it is a
6 number that you should have brought to the attention of
7 the Board in the context of giving the Board an opinion
8 that such a number was improbable or unrealistic?

9 A. No. My evidence is based on
10 looking at the site as a whole and not looking at an
11 individual reading within the site. As I indicated, a
12 landfill site is a very heterogeneous mixture of
13 garbage and you have cover soils mixed in with it and
14 you cannot take a small point within the landfill site
15 and say this is representative of the whole site, you
16 must look at the site as a whole.

17 Q. If there are values of 10^{-5} as
18 found in Halton garbage, City of Burlington garbage to
19 be more specific, and there is a value of 10^{-5} reported
20 by Dr. Hughes and Dr. Farvolden in Illinois, wouldn't
21 it be prudent, conservative and reasonable to take into
22 account a value of 10^{-5} in assessing the potential
23 impact of a site?

24 A. You would have to look at the site
25 as a whole. I do not believe it is prudent or



1 reasonable to use 10^{-5} for the site as a whole and I
2 think that is totally unreasonable.

3 Q. That is something different
4 because you see what I have gathered from your initial
5 evidence-in-chief and in references to the transcript
6 was that there couldn't be a single value of 10^{-5} ?

7 A. If I have misrepresented that,
8 there was no intention, because I was referring to the
9 site as a whole. I think that way. However I said
10 it, if I misrepresented it in some fashion, I
11 apologize, but what I am saying is that I have never
12 seen a site as a whole having a value of 10^{-5} . You
13 would have leachate spewing out everywhere if that's
14 the case and we don't see that at sites.

15 Q. Your evidence is clear, and you
16 are saying there certainly can be areas in a landfill
17 of municipal garbage in Ontario, and specifically in
18 Halton Region where we can expect to measure hydraulic
19 conductivities as low as 10^{-5} ?

20 A. Within a pocket within the waste
21 or a small area within the waste, sure, I can accept
22 there would be areas, and there could be areas of 10^{-0}
23 and there could be ranges and you have to look at the
24 site as a whole. I think that 10^{-4} is a conservative
25 value and I think it is a fair design value, and that



1 is why I refer to it as a design value, and I also
2 think of it as being conservative.

3 MR. ESTRIN: Mr. Chairman, I am about to
4 move onto another aspect of this, and I think this
5 would be a convenient point.

6 MR. LANCASTER: Yes, it would be.

7 MR. CRUTCHER: Should we mark this?

8 MR. LANCASTER: M-716.

9 MR. ESTRIN: The excerpts from the
10 Morrison Beatty Phase II report.

11 --- EXHIBIT NO. M-716: Excerpts from Phase II -
12 Morrison Beatty Limited
13 Hydrogeologic Investigation
14 for National Sewer Pipe
15 Limited - Landfill Site
16 Burlington.

17 MR. LANCASTER: I am going to require a
18 little extra time for lunch today, so we will adjourn
19 until 2:00 o'clock.

20 -- Luncheon Adjourn (12:22 p.m.)
21
22
23
24
25



1 --- Upon resuming at 2:00 p.m.

2 MR. LANCASTER: Please be seated.

3 MR. ESTRIN: Q. Mr. Crutcher, before
4 lunch we were discussing the hydraulic conductivity
5 values for waste and you confirmed for me that in the
6 Bayview site we have one recorded value of 10^{-5} in the
7 refuse and we talked about that same value for refuse
8 in the Hughes study. I believe we ended before lunch
9 with you replying to all of that to the effect, if I
10 have got it right, that 10^{-4} is an appropriate design
11 parameter in your view for the conductivity of waste
12 and if I have got the note right, you said you
13 considered that to be a conservative number?

14 MR. CRUTCHER: A. Yes, the lower end of
15 the scale. The lower end of the scale, yes.

16 Q. Do I understand correctly you are
17 telling the Board, therefore, that you need not design
18 to any lower conductivity than 10^{-4} ?

19 A. That is correct.

20 Q. Are you also saying it is your
21 view that you need not use a number lower than 10^{-4} in
22 doing an impact assessment for a landfill when you are
23 considering mounding?

24 A. When you are considering mounding,
25 10^{-4} is a conservative and appropriate value to use for



1 an impact assessment for the landfill as a whole, yes.

2 Q. Well, tell me this, Mr. Crutcher,
3 is it not a fact that your firm, CRA, has in fact
4 recommended to the Regional Municipal of Waterloo that
5 the two expansion areas being considered by the Region
6 at the present landfill site be designed for a
7 hydraulic conductivity of waste of 10^{-5} ?

8 A. Not that I am aware of.

9 Q. Not that you are aware of. Let me
10 show you a report from your firm, a draft report sent
11 to the Region with a transmittal letter signed by
12 someone in your firm, and I want to show you the
13 covering letter. Do you want to read it?

14 A. Yes.

15 Q. Would you read it for us?

16 A. It's a letter from Jamie Puskas
17 from our office to Mr. Michael Quinn, the Region of
18 Waterloo and it says:

19 "We enclose a draft copy of the report
20 entitled Technical Memorandum, Leachate
21 Collection System Design, Waterloo
22 Landfill Site for your review. This
23 reports presents the rationale for the
24 recommended leachate collection system
25 designed for the northern and the



1 southern expansion areas."

2 Q. What was the date of that letter?

3 A. September 21, 1987.

4 Q. Mr. Crutcher, you are in charge of
5 the Waterloo landfill site expansion program?

6 A. I am the overall project manager
7 for it.

8 Q. Can we look at -- could we mark
9 this as the next exhibit?

10 MR. LANCASTER: The draft report will be
11 M-717.

12 --- EXHIBIT No. M-717: Draft Waterloo Landfill Site
13 Technical Memorandum,
14 Leachate Collection System
Design.

15 MR. ESTRIN: Q. Could I first of all ask
16 you to turn to page 14.

17 MR. CRUTCHER: A. Yes.

18 Q. And can you read the first full
19 paragraph on that page for us?

20 A. "Due to the relatively large
21 uncertainty and variability in the
22 refuse hydraulic conductivity, it is
23 recommended that the leachate collection
24 system at the Waterloo Site be a two
25 stage design. The primary stage will
consist of collector pipes constructed



1 in french drains and be designed based
2 on a refuse hydraulic conductivity of
3 1.0×10^{-4} cm/s. The second stage will
4 be a system of french drains without
5 collector pipes with spacing designed
6 for a refuse hydraulic conductivity of
7 1.0×10^{-5} cm/s."

8 Q. Going back to the first sentence,
9 Mr. Crutcher, what is said here by your firm I suggest
10 is essentially the same thing Dr. Rowe was saying and
11 considering in his modelling; that is there is
12 relatively large uncertainty and variability in refuse
13 hydraulic conductivity, isn't that correct?

14 A. There is variability, yes. I
15 indicated that as well.

16 Q. Is that not what Dr. Rowe was
17 considering in his modelling?

18 A. He considered a value of 10^{-5} for
19 the complete mass of waste and I do not agree with
20 that.

21 Q. And he considered 10^{-4} as well in
22 other scenarios?

23 A. Yes.

24 Q. I am saying he considered the same
25 range of hydraulic conductivity for refuse as is



1 addressed in that paragraph?

2 A. Which paragraph?

3 Q. The one you just read from 10^{-4} to
4 10^{-5} ?

5 A. He did, but I do not think it is
6 appropriate.

7 Q. Can we turn to table 5 following
8 page 12?

9 A. Table 5.2?

10 Q. Table 5.2. You will see there
11 there is set out in effect calculations or modelling,
12 if you like, of the drain spacing that would be
13 required for the proposed expansion areas based on
14 various hydraulic conductivities of waste; correct?

15 A. Yes.

16 Q. Can you confirm that this
17 indicates your firm considered it appropriate to model
18 cases or calculate cases where the hydraulic
19 conductivity of the waste was, among others, 10^{-5} ?

20 A. I can confirm that the individual
21 who wrote the report did that. I should note I have
22 not reviewed this report.

23 Q. But a report has been sent to the
24 Regional Municipality of Waterloo for their
25 consideration?



1 A. In draft form.

2 Q. Yes.

3 A. If I may explain the rationale, I
4 personally have been involved in this hearing for so
5 long that I have a number of projects where I have not
6 been able to be actively involved. What I have done is
7 I have told my clients that I have not had an
8 opportunity to review the documents for consistency and
9 to make sure that I am in agreement with the documents,
10 but we would forward them in draft and we would
11 continue on and I would be involved in the general gist
12 of what is proceeding, but we would not finalize
13 anything until I have had the opportunity. I have a
14 client, who happens to be the Regional Municipal of
15 Waterloo, who has accepted that, mainly because I do
16 not have the availability of time and they are eagerly
17 awaiting for me to get off the stand and get working on
18 this project, and likewise I have the same position.

19 Q. Mr. Crutcher, when you speak of
20 consistency, one could think uncharitably of the notion
21 that the kind of consistency you would like is that
22 none of your reports even contemplate a hydraulic
23 conductivity of waste of 10^{-5} to make it consistent
24 with your evidence here. Is that what you mean by
25 consistency?



1 A. No, I mean that what we put in our
2 reports we can support.

3 Q. Mr. Crutcher, why don't you turn
4 please to page 7 of this document and looking under the
5 heading of 4.3 Hydraulic Conductivity of Refuse and
6 would you read the first two sentences?

7 A. "The hydraulic conductivity of
8 refuse is an important parameter in
9 determining the spacing of leachate
10 collectors. The hydraulic conductivity
11 of refuse has been reported to range
12 from as low as 1.0×10^{-5} cm/s to as
13 high as 1.0×10^{-3} cm/s depending on the
14 compaction of the waste."

15 Q. Yes. That is what this report is
16 modelling, that range, and if you look back on Table
17 4.2 following page 12, that is the range which in fact
18 your firm modelled?

19 A. That is the range that was used on
20 these calculations, yes.

21 Q. Can we turn to page 14?

22 A. Recognize I am only reading the
23 pages you have referred me to and I have not read this
24 report.

25 Q. I am sure you will have that



1 opportunity. If you turn to page 14 and look about
2 half-way down, or the second full paragraph begins, "A
3 design" and can you read that for us?

4 A. "A design for both expansion areas
5 has been developed and is presented on
6 Plan 1, attached. This design uses a
7 grid pattern with the main collectors
8 running in the direction of the base
9 slope. These main collectors consist of
10 perforated pipe installed in french
11 drains. The layout of the main
12 collectors is based on minimizing the
13 length of pipe and the depth and number
14 of manholes required. The main
15 collectors are spaced at a maximum
16 distance of 90 m. These collectors, by
17 themselves would control the leachate
18 head to a level less than 4.5 m with an
19 assumed refuse hydraulic conductivity of
20 1.0×10^{-4} cm/s."

21 Q. Read the next paragraph.

22 A. "The secondary system consists of
23 a network of french drains. The french
24 drains run perpendicular to the main
25 collectors and are spaced a maximum



1 distance of 20 m apart near the edge of
2 the landfill and 30 m over the rest of
3 the Site. This system is expected to
4 control the leachate head to less than
5 3.2 m along the edge of the landfill and
6 4.7 m over the rest of the Site based on
7 a refuse hydraulic conductivity of
8 1.0×10^{-5} cm/s."

9 Q. Mr. Crutcher, at the back of the
10 exhibit is a copy of the plan, Plan 1. I wonder if you
11 could put that up for us. Do you have a scale for 1 to
12 3000? First of all, I wonder if you could....

13 A. I don't have a scale of 1 to 3000.
14 Oh, I have found one here.

15 Q. If you would have regard to Plan
16 1, and on the righthand side of it to begin with....

17 A. I assume this is Plan 1, but it is
18 not on my copy.

19 Q. That was the only plan attached to
20 the document?

21 A. I will write on this Plan 1 then.

22 Q. Please do. Would you confirm for
23 me that the spacing between the drains that are running
24 horizontally, if you like, these, is 20 metres?

25 A. It appears to be variable.



1 Q. We will have to do it another way.

2 A. Towards the centre of the site....

3 Q. 30 metres.

4 A. 30 metres, and along the edge it's
5 20 metres.

6 Q. Could you perhaps take a green
7 pen, and I will give you a highlighter, but delineate
8 the area that has 20 metre spacing from 30 metre
9 spacing. Just highlight it.

10 A. I have marked in green highlighter
11 the area where there appears to be a 20 metre spacing
12 to the french drains.

13 Q. Now, Mr. Crutcher, the report
14 indicates that the french drains are designed -- when
15 they are designed for a 10^{-5} centimetres per second
16 hydraulic conductivity, they are spaced 20 and 30
17 metres and would you look back at the top of page 15,
18 and it really begins on the bottom of page 14:

19 "The secondary system consists of a
20 system of french drains. The french
21 drains run perpendicular to the main
22 collectors and are spaced a maximum
23 distance of 20 m apart near the edge of
24 the landfill and 30 m over the rest of
25 the Site."



1 A. Yes.

2 Q. "This system is expected to
3 control the leachate head to less than
4 3.2 m....".

5 Could you please take pink pen here....

6 A. I have a pink highlighter.

7 Q. Highlight please all of the 30
8 metre lines?

9 A. I just noticed a few more 20 metre
10 ones.

11 Q. Would you....

12 A. Pink is everything in between.

13 Q. I would like a pink line on each
14 of those french drains that are either 20 or 30 metres
15 spacings. I want you to use the pink to outline the
16 french drains that are spaced 20....

17 A. The area or each drain?

18 Q. Each drain, please. You have
19 highlighted those french drains which are 30 metres
20 apart and I am interested in having you indicate with
21 the same colour all the drains that are designed for
22 refuse with a hydraulic conductivity of 10^{-5} and that
23 would also include the 20 metre ones as well, if you go
24 back to the top of the page, page 15.

25 A. That's not what you said.



1 Q. I am suggesting there is a
2 different spacing, but they are all designed for 10^{-5}
3 hydraulic conductivity?

4 A. I read that as well.

5 Q. The green ones would also cover
6 that?

7 A. Yes. My understanding was that
8 the main collectors were designed on the basis of 10^{-4}
9 and the french drains were designed on the basis of
10 10^{-5} and I do not understand that rationale.

11 Q. Mr. Crutcher, looking at this
12 diagram, is it correct that all of the horizontal --
13 all the drains that run left to right?

14 A. In a north-south direction.

15 Q. On this plan if we consider the
16 top of the diagram....

17 A. You will throw me off if you do
18 that.

19 Q. I don't know the Waterloo site.

20 A. I'll put on a north arrow.

21 Q. Can we agree that all of the
22 drains that run north-south whether coloured pink or
23 green on the righthand side of this plan according to
24 the text on page 15, are based on a refuse hydraulic
25 conductivity of 1.0×10^{-5} ?



1 A. It appears that way, yes.

2 Q. Can we turn look at the lefthand

3 side of Plan 1. Can you take a green pen and highlight

4 those that are, I guess to be consistent, 30 metres

5 apart?

6 A. Green was 20 metres.

7 Q. I am sorry, you are right.

8 MR. ESTRIN: Does the Board need a pen

9 that is an equivalent colour?

10 DR. KINGHAM: We can rely on the

11 exhibit.

12 MR. CRUTCHER: Shall I cross-hatch the

13 area like I did on the other or do you want the lines

14 marked?

15 MR. ESTRIN: Q. Sure.

16 MR. CRUTCHER: A. I assume you would

17 like the pink ones done as well?

18 Q. Please. Can you put a legend down

19 at the bottom with a pink line and a green line and

20 indicate something to the effect that it indicates

21 french drains based on a refuse K of 1.0×10^{-5} ?

22 MR. HODGSON: I wonder, Mr. Chairman, if

23 the witness could count the lines he has done in green

24 and pink on the lefthand side, because I am having

25 difficulty coordinating what I have in front of me with



1 what I see up there. There is a number running
2 diagonally across that cell and there is a line and a
3 376 number and do you see the number?

4 MR. CRUTCHER: Yes.

5 MR. HODGSON: Where does the pink come
6 in relation to the 376?

7 MR. CRUTCHER: It stops right at 376.

8 MR. HODGSON: The line below 376 is pink
9 and the line above 376 is green.

10 MR. CRUTCHER: Correct.

11 MR. HODGSON: The distance between the
12 376 number above and below that line is 20 metres?

13 MR. CRUTCHER: 30 metres.

14 MR. HODGSON: The line above 376 to
15 where there is 377, is that 20 metres?

16 MR. CRUTCHER: Yes, the spacing appears
17 to be that.

18 MR. HODGSON: Thank you very much.

19 MR. CRUTCHER: Let me look at the
20 scale. I was going visually, but I may be off.

21 MR. LANCASTER: It looks like 20 metres
22 to the north and 30 to the south.

23 MR. CRUTCHER: I think it's a bit on a
24 skew, and I don't know if it makes any difference.

25 MR. ESTRIN: I don't know if we are



1 concerned about the exact location of those lines.

2 Q. Now, Mr. Crutcher, to be fair, you
3 might wish to go back to page 14 and re-read to
4 yourself the last paragraph which talks about the main
5 collectors where it says they are spaced at a maximum
6 distance of 90 metres:

7 "These collectors, by themselves would
8 control the leachate head to a level
9 less than 4.5 m with an assumed refuse
10 hydraulic conductivity of 1.0×10^{-4}
11 cm/s."

12 So you might wish to highlight those in a different
13 colour.

14 MR. CRUTCHER: A. If you wish.

15 Q. It's up to you. For my purposes,
16 I am only interested in 10^{-5} , as you know.

17 A. As I indicated, I put no credence
18 on this document and I have not reviewed it and it's
19 not finalized.

20 Q. I will leave that decision to you,
21 sir. So, we understand -- perhaps this plan should be
22 given a number that corresponds to the exhibit it comes
23 from as a separate number.

24 MR. LANCASTER: That will be M-717-1.

25 --- EXHIBIT NO. M-717-P1: Plan 1 from Exhibit M-717.



1 MR. CRUTCHER: Could I suggest P1?

2 MR. LANCASTER: Plan 1, as I have it
3 marked as Plan 1.

4 MR. ESTRIN: Q. Just so we are all
5 clear, Mr. Crutcher, you have used cross-hatching in
6 green to indicate the area of the 20 metre spacing, but
7 so that we are all clear, is each one of these lines
8 running north-south, it's a french drain that is
9 designed to accommodate 10^{-5} centimetres per second K
10 waste, is that correct?

11 MR. CRUTCHER: A. Yes.

12 Q. To be consistent with the way you
13 have put pink lines on the 30 metre spaced drains,
14 could you put a solid green line along each one of the
15 20 metre spaced drains?

16 A. It will look rather confusing now,
17 I believe.

18 Q. Thank you.

19 MR. LANCASTER: Can you read me what you
20 have written down on the conductivity of the pink?

21 MR. CRUTCHER: $KW = 10^{-5}$ centimetres
22 per second, the K of the waste.

23 MR. ESTRIN: Q. They are written in pink
24 or green, correct?

25 MR. CRUTCHER: A. Correct.



1 Q. When we look at this plan,
2 M-717-P1, we see pink or green lines running north-
3 south or, in the case of the second on the left, east-
4 west, across all of both expansion areas; is that fair?

5 A. Yes.

6 Q. In other words, all of the two
7 proposed expansion areas under this plan are designed
8 to accommodate refuse of a hydraulic conductivity of
9 10^{-5} centimetres per second?

10 A. It appears that way, yes.

11 Q. This design I suggest has been put
12 forward so as to ensure -- the design of a leachate
13 collection system and this design in particular, I
14 suggest, is put forward to ensure there will not be
15 excessive mounding of waste -- mounding of leachate in
16 the refuse; is that fair?

17 A. It has been put forward to
18 indicate to Mr. Quinn the rationale that the person
19 doing this work had for the design, and it was a
20 preliminary, a conceptual design of the leachate
21 collection system.

22 Q. The purpose of the leachate
23 collection system and the purpose of designing as it
24 has been is to, I suggest, prevent excessive mounding
25 in the event that the hydraulic conductivity of the



1 waste is as low as 10^{-5} ? That would be the natural
2 purposes?

3 A. It appears that the author has
4 used 10^{-5} and I am not in agreement with that number.
5 I should note that this design is all to be
6 incorporated in a design and operations report. Mr.
7 Quinn had requested some preliminary information of
8 what the leachate collection system would look like and
9 we had no budget to prepare this and what we ended up
10 doing was providing him an idea. I did not have an
11 opportunity to review it, and, as I indicated,
12 everything was sent out in draft and we will complete
13 all this information when we do our design and
14 operations report, which I have indicated to the Region
15 I will be forthright on as soon as I finish this
16 hearing, an hour I am patiently awaiting.

17 Q. He is a professional engineer, is
18 he, registered to practise in the province of Ontario?

19 A. He is.

20 Q. How long has he worked for your
21 firm?

22 A. A couple of years maybe, or in
23 that order.

24 Q. Mr. Crutcher, both you and Mr.
25 Petrie have made a very conscious effort to indicate to



1 this Board that Dr. Rowe's scenarios where a hydraulic
2 conductivity of the waste of 10^{-5} is assumed are
3 unreasonable and implausible. What we see your firm
4 has recommended as a conceptual design for the Region
5 of Waterloo is a design that assumes the waste could
6 certainly be in that range, fair enough?

7 A. An individual of our firm has. I
8 have indicated I am not in agreement with that.

9 Q. I can understand the reasons.

10 A. You can understand the reasons
11 because I don't believe it is correct.

12 Q. Mr. Crutcher, for the people of
13 Waterloo, your firm or a professional engineer with
14 your firm has said or it is implicit in this
15 recommendation that it is reasonable to design for 10^{-5}
16 for the people of Waterloo, but what I find difficult
17 is that when it doesn't suit another client's case, you
18 consider it unreasonable to consider 10^{-5} . I would
19 like to suggest to you that it is perhaps you that is
20 being unreasonable and implausible.

21 A. You can suggest what you like.
22 First of all, I would indicate that when this design is
23 finalized it will be based off 10^{-4} and I have now had
24 an opportunity to review the report and I can discuss
25 this with my cohorts, the information in here. The



1 design will be finalized on 10^{-4} and the reason for
2 that is that there is no justification for 10^{-5} . So,
3 the residents of the Region of Waterloo will not be
4 blessed with 10^{-5} waste.

5 Q. Someone else in your firm thinks
6 that 10^{-5} is an appropriate number and has so stated on
7 page 7 that:

8 "The hydraulic conductivity of refuse is
9 an important parameter in determining
10 the spacing of leachate collectors."

11 and has apparently considered the reported literature
12 and information and says that it can be as low as 10^{-5} .
13 On what basis do you disagree, because you said
14 yourself you have done no tests?

15 A. He does not have the experience to
16 make that statement.

17 Q. Mr. Crutcher, I have to suggest to
18 you that based on this document, your position here
19 before this Board on what is a plausible, reasonable,
20 conservative value to design a landfill leachate
21 collection system on, ignoring 10^{-5} for waste, I have
22 to suggest to you that that position seems to be, and I
23 would like your reaction, it is first of all
24 inconsistent with the available data for hydraulic
25 conductivity of waste and, secondly, it is inconsistent



1 with your firm's approach in Waterloo?

2 A. I disagree on both matters. I
3 will agree it is inconsistent with what you have
4 presented on M-717, and I indicated I have not had an
5 involvement in that portion and I will be having an
6 involvement.

7 Q. I am sure before the end of this
8 hearing we will see your final document which
9 eliminates 10^{-5} ?

10 A. No you won't, because I won't have
11 time to have it prepared, I don't suspect.

12 Q. It may become a priority.

13 A. It always has been.

14 Q. In any event, let's approach this
15 in another way. Your evidence is you have never seen
16 the leachate coming out and therefore it can't be
17 10^{-5} essentially?

18 A. I have never seen leachate mounds
19 that would evidence the 10^{-5} in municipal refuse.

20 Q. Can you indicate which of these
21 landfills you have in mind had a 4 to 1 or lower waste
22 to cover ratio and used a cover material with a
23 compacted hydraulic conductivity of less than
24 1.0×10^{-8} ?

25 A. Many landfill sites have that.



1 Q. Can you name one?

2 A. Sarnia.

3 Q. Is that one you designed?

4 A. I have been involved and the site
5 evolved itself.

6 Q. Do you know, and can you affirm to
7 this Board that the waste to cover ratio is 4 to 1?

8 A. The waste to cover ratio of every
9 site, if it operated on a 4 to 1 basis, I would be
10 overjoyed because our slow balances would work and they
11 have a high range and 4 to 1 is a generalized number,
12 and I would tend to think of Sarnia in the earlier
13 days, that they had less soil used and currently I
14 think they are using too much soil and that is a fairly
15 common problem at landfill sites, and we deal with it,
16 and so I can't say it's 4 to 1, but I can say at
17 Waterloo they are running about 1.3, I believe, which
18 is actually quite good for them.

19 Q. 1.3?

20 A. 1 to 3. We would like to get them
21 to 1 to 4.

22 Q. What is the K value for the cover
23 that has been put in place over the last number of
24 years where you have finished this site, do you know?

25 A. Which site?



1 Q. Waterloo.

2 A. Waterloo? We are using a value,
3 an assigned value of 10^{-6} .

4 Q. So that site does not fall within
5 the range of the questions I asked. I said which of
6 the landfills you are suggesting, because there is no
7 leachate spurting out, had a 4 to 1 or lower waste to
8 cover ratio and used a cover material with a K of less
9 than 10^{-8} ?

10 A. First of all you don't get a cover
11 material that less than 10^{-8} . We may start with a soil
12 that is 10^{-8} and we can't place it as I have learned,
13 because I originally felt that you could, but I have
14 learned from experience that you cannot, it's not
15 practical. You can't place the cover material as the
16 same in situ permeability. It just doesn't happen and
17 you can't get the compaction and you get differential
18 settlement within the site and you are getting some
19 fracturing within the waste, within the cover, and I
20 did not originally have that opinion, but I have
21 subsequently through just observing what is happening
22 at landfill sites, I have come to that conclusion.

23 Q. I think you are telling me we
24 might have some difficulty in fairly comparing any
25 existing sites to what the intent here in Halton is,



1 where we have heard from Mr. Hiraishi he wants 4 to 1
2 waste to cover ratio?

3 A. Mr. Hiraishi wants 4 to 1 and I
4 want 4 to 1, but you never get 4 to 1, you get the best
5 the operator can achieve. 4 to 1 is a design number to
6 be able to give you the quantity of soil you need for
7 daily cover and that is all you use that number for.

8 Q. I guess what I am coming to, Mr.
9 Petrie, is that there is very little data on which to
10 base a definitive opinion regarding the hydraulic
11 conductivity of the waste in the sense that you are
12 just not concerned about the waste per se, you must
13 take into account the hydraulic conductivity of the
14 soil in which it is placed and how thick and compacted
15 that layer is above and below, fair enough?

16 A. No, I don't believe that. The
17 placement of daily cover on the refuse I do not believe
18 contributes in any significant amount to the overall
19 permeability of the waste. It is relatively thin and
20 sometimes it is too thin and, in fact, maybe it gets
21 incorporated into the waste matrix on the next lift and
22 so I do not believe that it controls to any significant
23 degree the overall waste permeability. The placement
24 of interim cover does have some effect and what that
25 effect is it tends to cause a perching of water within



1 the landfill sites and the design of landfill sites now
2 is to remove, or at least ensure a hydraulic connection
3 through any interim cover, interim cover being a
4 thicker cover placed, because the landfill is not being
5 used for a period of time. I do not believe that they
6 contribute to the overall permeability of the waste
7 itself.

8 Q. Well, Mr. Crutcher, can you show
9 me any studies your firm has done? You have told me
10 you haven't done any pump tests on the hydraulic
11 conductivity of waste and I take it now what you are
12 saying is that each landfill is an entity unto itself
13 and the design engineer may have certain numbers in
14 mind but what happens out there may be another thing in
15 terms of what exactly he can get in terms of a waste to
16 cover ratio, for example; is that fair enough?

17 A. Yes. Landfills are where you are
18 placing waste and you don't have uniform grade material
19 being placed on a site and we have to recognize that.

20 Q. It is difficult to come to a
21 definitive opinion regarding what could be called the
22 bulk materials which you would want to determine in
23 terms of looking at hydraulic conductivity of the
24 waste. You don't have the studies which actually go
25 in there and do that?



1 A. You can do it the other way around
2 and look at the effect of what a 10^{-5} waste would have
3 on leachate mounding in sites, and you get very, very
4 high leachate mounds in sites. I am saying from my
5 experience of sites I am involved in, quite a number of
6 sites, I have not observed that kind of mounding within
7 the sites, and some of them are with imperfect leachate
8 collection systems and even with that, I don't see it.

9 If you look at the Bayview landfill
10 site, we do not have that major a leachate mound within
11 the Bayview landfill site. If we had 10^{-5} , I would
12 suspect we would have leachate emanating at the top of
13 the landfill site and pouring out all over the place
14 but we have it at the toe of the landfill site.

15 Q. We are going to come to that, but
16 as I understand what you are saying, if we find within
17 a landfill site a mound of several metres -- how high,
18 5 metres or 10 metres?

19 A. I am going off the top of my head,
20 but I think Dr. Rowe had something like 15 metres being
21 developed up in Site D, or even higher than that, and
22 that -- translating that back to feet, that is
23 something like a 50 foot mound with the leachate
24 collection system on the side, and I am saying that I
25 have not seen that, seen that occurrence.



1 Q. What if we find a mound of say 5
2 metres, Mr. Crutcher, and what would you say about
3 that?

4 A. It depends upon what the situation
5 is and whereabouts on the site you are.

6 Q. What if it was a uniform height of
7 leachate across the site of say 5 metres, and what
8 would you say about that in terms of hydraulic
9 conductivity of waste? What would that tell you?

10 A. It depends upon where the leachate
11 collection system is. If you look at most sites, they
12 are excavated down in the order of 3 to 4 metres as a
13 typical excavation and you are talking of a mound that
14 is 2 to 3 metres above the ground surface.

15 Q. What would you say if we had a
16 significant mound within a site of say 13 metres?

17 A. I would say that you have quite a
18 significant mound, and it is an atypical site.

19 Q. What would you have to say about
20 the hydraulic conductivity of the waste in that
21 situation or the daily cover?

22 A. I would have to look at the
23 situation as I would consider it an atypical site and
24 we should understand what is going on. There may be
25 something unique about the particular site.



1 Q. It could also be quite consistent
2 that either the hydraulic conductivity of the waste is
3 10^{-5} or your daily cover is less permeable than you
4 have assumed; wouldn't that be fair?

5 A. As I indicated, I don't think
6 daily cover plays a very major impact and the
7 permeability of the waste, I think that would be
8 something unique about the waste and it would not be a
9 typical municipal waste.

10 Q. Let's come back to that point, but
11 I want to ask you about one of the documents you
12 introduced, the Fresh Kills report, Exhibit B-503, and
13 there were a couple of aspects about that. This is one
14 of the documents....

15 A. Are we finished with this?

16 Q. I am.

17 A. Would you like the map placed in
18 the back of this report, as it's an exhibit. Oh, I'm
19 sorry.

20 MR. ESTRIN: If I may have just a
21 moment.

22 Q. I wanted to direct your attention
23 to page 13 and we had to number these pages by hand as
24 I recall.

25 MR. CRUTCHER: A. There are page



1 numbers, but my copy is not numbered.

2 Q. It is after Table 5.

3 MR. LANCASTER: It has 4-34 at the
4 bottom.

5 MR. ESTRIN: Q. Yes, 4-34 at the
6 bottom.

7 MR. CRUTCHER: A. I have it.

8 Q. The sentence begins at the top of
9 the page, and this was put to Drs. Rowe and
10 Charlesworth in their cross-examination:

11 "As seen from the data presented in
12 Table 4, the calculated waste
13 permeabilities are similar and range
14 from 1.93×10^{-3} to 6.6×10^{-2} cm/sec.
15 While these values may appear higher
16 than that typically reported in the
17 literature, i.e. 1.0×10^{-3} cm/sec as an
18 average, they do appear reasonable for
19 the Fresh Kills site."

20 That is as far as it was read, as my
21 notes indicate, but can you read the next sentence?

22 A. "More particularly waste
23 deposition during the early operation of
24 the site took place without compaction
25 with a waste space advancing into marsh



1 areas to provide firm support. This
2 type of operation would yield loose,
3 relatively permeable waste."

4 Q. That would be therefore -- it
5 would not be surprising therefore to find and to
6 attribute a range, a high range of 10^{-2} to 10^{-3} in that
7 situation?

8 A. That is correct.

9 Q. Can we look at page 24, which is a
10 table entitled Geometric Mean of In Situ Permeability
11 Results, Fresh Kills Landfill.

12 DR. KINGHAM: It should be the last page
13 in the exhibit.

14 MR. ESTRIN: Yes.

15 MR. CRUTCHER: Yes.

16 MR. ESTRIN: Q. Would you agree that the
17 lowest permeability stated for in situ results was 10^{-6}
18 and that -- including clay?

19 MR. CRUTCHER: A. All the values
20 reported are in the 10^{-6} range and the lowest one I
21 observed is a glacial sand at 1.9×10^{-6} .

22 Q. You wouldn't expect ordinarily to
23 have glacial sand with such a low conductivity, would
24 you?

25 A. I don't know what glacial sand





1 stands for. I presume it is predominantly sand, but it
2 depends on the silt and clay content and the actual
3 mixture.

4 Q. How about recent sand?

5 A. If it was sand or if you said
6 sand, then I would not expect that permeability.

7 Q. Wouldn't it be fair to conclude
8 that once you start placing more permeable materials or
9 what would be expected to be more permeable materials
10 like sand into a landfill site, then you are going to
11 start changing the hydraulic conductivity values that
12 you might ordinarily expect and get lower values?

13 A. As I indicated, I don't believe
14 the cover soils play a very important role on the
15 overall permeability of the waste.

16 Q. All right.

17 A. They do play an important role
18 regarding the perching conditions within the site, but
19 that is not referring to the permeability of the waste.

20 Q. Did you hear Mr. Hiraishi's
21 evidence here or did you read it that he recommends
22 stripping of the daily cover or tilling of it or
23 something so we don't in fact get perching?

24 A. Yes, and I don't recall exactly,
25 but something to that effect and that is very common.



1 Q. That would be important,
2 particularly near the base?

3 A. It is important throughout the
4 site.

5 Q. Isn't it true that the cover
6 material which is being proposed to be used at Site D
7 and material which when compacted as your firm did, has
8 a hydraulic conductivity of less than 10^{-8} at least
9 based on the older Golder results?

10 A. If you can compact it, yes, but as
11 I indicated on waste as I have learned, you do not
12 compact and waste has a spongy nature to it and you
13 don't have the ability to actually get the compaction
14 of that waste, nor is it normally done. It is done on
15 final cover.

16 Q. That is what I am talking about,
17 cover material.

18 A. Final cover?

19 Q. Yes.

20 A. If you are referring to final
21 cover, there is an attempt to compact it.

22 Q. And intermediate cover?

23 A. Not usually.

24 Q. Don't you take equipment and get
25 good kneading compaction by doing so?



1 A. They don't use compactors on a
2 normal basis for interim cover. I am not aware of
3 anybody doing that.

4 Q. Were you present when Mr. Hiraishi
5 indicated to the Board he considered it possible the
6 hydraulic conductivity of the waste could in places be
7 10^{-5} ?

8 A. I don't recall that, but I can
9 concur that in places it would be 10^{-5} .

10 Q. Then there was also some
11 discussion, and this was by the way at page -- Volume
12 49, page 11204, and then....

13 A. Shall I get that?

14 Q. You don't need to. I am sure you
15 can recall correctly or accept his evidence.

16 Then there was another aspect of this
17 matter he was asked about and that was Exhibit H-41-D6
18 and that's behind you, and I wonder if you would put
19 that up. He has illustrated on there in brown on cell
20 2 a hatched area?

21 A. Yes.

22 Q. That indicates intermediate cover?

23 A. I recall something to that effect.

24 I don't see a legend on here, but that would make
25 sense.



1 Q. I am reading from page 11198 of
2 the transcript and it's just a couple of references,
3 and I don't think you need to pull it out:

4 "Q. I want to look at H-41D6. Now,
5 you have illustrated on there a hatched
6 area on cell 2 where you have indicated
7 intermediate cover would be used. You,
8 I think, described it in evidence as
9 being a minimum of one foot but probably
10 closer to a metre.

11 A. I would think that is the way it
12 would be, yes.

13 Q. That intermediate cover of up to a
14 metre or closer to a metre, would that
15 stay there?

16 A. I would think that operationally
17 it would be more prudent to leave it
18 alone than trying to scrape it off. I
19 believe if it is closer to a metre, and
20 that knowledge was in fact true that you
21 may be able to scrap off a foot or two
22 of that but clearly we are not in a
23 position of wanting to dig out that
24 material and so that we don't want to
25 get into a situation where the recovery



1 of that material would mean that wastes
2 are exposed. My recommendation would be
3 that they not touch that area.

4 Q. That same intermediate cover
5 concept would apply, as I understood
6 your evidence between each cell?

7 A. Generally that would be the case,
8 yes, with the except of cell 5 of course
9 which is the last cell to be filled."

10 Do you accept that that is what the
11 transcript says and what Mr. Hiraishi said, and you
12 have no reason to question it?

13 A. You read it, and I am assuming you
14 read it correctly, so I accept that.

15 Q. That means in effect that if Mr.
16 Hiraishi's design recommendations are followed, there
17 will be an intermediate cover between each of the
18 cells, except cells 5 and 6, which could be up to -- I
19 am sorry, there are only five cells, except with regard
20 to cell 5 -- perhaps up to a metre thick, yes?

21 A. That's what it says, yes.

22 Q. You are talking about cover
23 material from this site which your range for the in
24 situ value of that clay material is somewhere between
25 10^{-7} and 10^{-8} . Is that your value?



1 A. We have indicated in situ it is
2 10^{-8} .

3 Q. What I am suggesting to you, Mr
4 Crutcher, is that there is going to be significant
5 areas of the site if this recommendation for design is
6 carried forward, that will have a metre of 10^{-8}
7 intermediate cover material and 10^{-8} -- a metre thick
8 is what you are suggesting would be a nice liner
9 at Site F?

10 A. First of all, as I have indicated,
11 you wouldn't be able to get that placed at 10^{-8} and I
12 would say the best you could probably get would be
13 about 10^{-6} . That statement would have an effect on the
14 perching conditions within the site, or as a potential,
15 depending upon what angle. I would recommend if they
16 were going to leave it in place, that they make
17 hydraulic connection, which means you would take a
18 backhoe and excavate out portions of it so there are
19 holes within that to ensure hydraulic connection across
20 the unit. These again are a common item to deal with.

21 If that was not done, it doesn't really
22 control the overall site as each cell is essentially
23 designed on an individual basis, and it would not
24 really control the bulk permeability of the waste.

25 Q. But what that could mean, and I



1 discussed this as well with Mr. Hiraishi, I believe, is
2 that if you have a relatively impermeable layer between
3 cells, you then produce an ideal situation for
4 hydraulic connection between cells of waste above that
5 impermeable layer. Do you follow what I am saying?

6 A. No.

7 Q. Perhaps you could sketch -- take a
8 flip chart and sketch a couple of cells in cross-
9 section and say looking from the west side of the site?

10 A. I think they would look the same
11 from the east.

12 Q. All right, it doesn't matter.
13 Now, let's put in some waste?

14 A. Do you want it mounded?

15 Q. Sure.

16 A. When the waste is below the level
17 of the original ground, there is not a lot of
18 opportunity for hydraulic connection between those two
19 cells, fair enough?

20 A. Correct.

21 Q. But once the waste starts to mound
22 physically higher than that original ground surface,
23 the opportunity for hydraulic connection between two
24 cells is good, and in fact you would expect it?

25 A. Yes.



1 Q. Wasn't it the failure of the
2 leachate collection system within two cells that Dr.
3 Rowe was considering for total failure?

4 A. I recall something to that effect.
5 Is that your question?

6 Q. Yes, thank you.
7 Can we turn to the Waterloo landfill
8 report, and this is another CRA document. This is the
9 interim report, excerpts from your interim report. I
10 just wanted to turn to page 72, and this is another
11 report called interim report of May, 1986 on the
12 investigation of the proposed expansion area, the same
13 geographic area we were considering in the last
14 exhibit, the Waterloo expansion.

15 A. The report deals with the existing
16 Waterloo landfill site and the expansion areas and you
17 must be careful because Waterloo is a rather confusing
18 site from a logistical explanation point of view. We
19 have an existing landfill site in the centre and we are
20 dealing with expansion to both the north and south and
21 then you can get into a discussion of what is approved
22 at the site and what is not approved, so you have to be
23 very careful in going through the documents.

24 Q. If you start at page 71 under the
25 heading Predicted vs Measured Leachate Volumes, you are



1 talking about the results of monitoring of leachate
2 levels in the leachate wells during the period of March
3 1985 to April 1986. I understand here in this portion
4 of the site, Mr. Crutcher, there is no leachate
5 collection system; is that right?

6 A. Yes, this is in the existing site
7 or the central part.

8 Q. No leachate collection system?

9 A. No.

10 Q. We are talking about a situation
11 where if we wanted to think in terms of Site D, we
12 could compare it to Site D with the leachate collection
13 system not working?

14 A. Assuming you had an even base
15 grade, yes, but note that there is not on an even base
16 grade.

17 Q. Where?

18 A. Here.

19 Q. That may produce -- it is not even
20 so it is sort of undulating?

21 A. I think in the old days they
22 didn't really pay attention to excavating to base
23 grades and they landfilled where there were hollows.

24 Q. But it is undulating and it's not
25 one defined slope?



1 A. I think there are some significant
2 undulations in the base grade, but we do not know as
3 there has been no field verification of that.

4 Q. It says:

5 "Leachate has accumulated to a level of
6 approximately 3.7 to 5.5 m.... above a
7 base grade of about 378 m..... However,
8 at LW11-80, the level was substantially
9 greater, but the well has been des-
10 troyed. LW10-80 which is terminated in
11 native materials 6 m above the base was
12 found to be dry."

13 and can you read the next two paragraphs?

14 A. "Examination of this data
15 indicates general agreement between the
16 observed leachate levels in LW18-85,
17 LW19-85, and the bottom screen elevation
18 at LW10-80. However, the measured level
19 at LW11-80 may preclude the possibility
20 of a uniform level across the site, and
21 indicate that substantial mounding of
22 leachate has occurred. On the other
23 hand, it may simply represent a perched
24 condition, and is not hydraulically
25 connected to the other wells."



- 1 Q. Read the next paragraph.
- 2 A. "It is very difficult to ascertain
- 3 whether the measured levels in the
- 4 leachate wells reflect a more or less
- 5 uniform height of leachate accumulation
- 6 across the site of about 3.7 to 5.5 m
- 7 (12 to 18 feet) above base grade, or a
- 8 significant leachate mound within the
- 9 site of about 3.7 to 13.4 m (12 to 44
- 10 feet) above base grade. However, in
- 11 order to verify the predicted leachate
- 12 volumes in 1986 the existing leachate
- 13 volumes were estimated by assuming a
- 14 refuse porosity value of 0.4 and an
- 15 existing landfill area of 26 ha (65
- 16 acres)."
- 17 Q. So what this report is saying is
- 18 that it was very difficult to ascertain whether
- 19 measured levels in leachate wells were reflecting a
- 20 less uniform height of leachate, 3.7 to 5.5 metres
- 21 above base grade, or a significant leachate mound
- 22 within the site of 3.7 to 13.4 metres?
- 23 A. Yes, dealing with a historical
- 24 site.
- 25 Q. In other words, your report or



1 your firm's report was indicating there may be what you
2 term as a significant leachate mound of 13.4 metres
3 maximum?

4 A. I am going from memory here, but
5 if I recall, the wells we were dealing with, one well
6 found the elevation of the base grades at an elevation
7 of 1260 and the base grades were supposed to have been
8 at 1240 and so we had a 20 metre undulation under the
9 base grades. In fact, that is why I was indicating
10 that we may have quite a pocketing effect within the
11 site itself.

12 Q. Mr. Crutcher, as I understood what
13 you were saying a few minutes ago, you were saying that
14 one of Dr. Rowe's models took the leachate up to I
15 believe it was 15 metres?

16 A. As I recall it was something like
17 that.

18 Q. That sounded to you like it was
19 implausible or incredible and yet your own report is
20 saying that you may indeed have such a mound at
21 Waterloo?

22 A. At one location, which to my mind
23 is quite explainable.

24 Q. In fact your own report was
25 suggesting it could possibly have occurred, whatever



1 the explanation?

2 A. We were giving the options and my
3 personal opinion is that it's caught within the centre
4 of the site in a pocket and that is somewhat verified
5 by the base grade elevation we determined. The Region
6 of Waterloo was supposed to have cut the landfill site
7 down to an elevation of 1240 and we were told they cut
8 it down to 1240, but when we installed a leachate well,
9 we found one of the base grades was at 1260 and it
10 happened to coincide with where there was an elevation
11 of land and it appears what they did in the mid-70s,
12 they landfilled in the valleys and didn't level it out
13 ahead of time. That to my mind perfectly explains the
14 leachate levels.

15 Q. Let me give you....

16 A. The site was not designed at that
17 time and we are dealing with an existing historical
18 site.

19 Q. I understand that, we were dealing
20 with a site that has the equivalent of a leachate
21 collection system that doesn't work.

22 A. The equivalent -- it doesn't have
23 a leachate collection system because we have just
24 recently installed on the west side of the site a
25 leachate collection system, on the periphery.



1 Q. It's the same situation as if
2 there was a leachate collection system and in part of
3 the site it wasn't working; and wasn't it a 13.4 metre
4 mound?

5 A. I am also indicating that it is
6 within a hollow in the site and bounded, I believe, on
7 all sides. It's within a valley within the site
8 itself, so it's a bathtub within the site.

9 Q. Would you agree with me that one
10 reasonable explanation for variation in leachate levels
11 across this site could not only be undulations, but
12 significant variation in the hydraulic conductivity of
13 the waste. Wouldn't that be a reasonable explanation
14 as well?

15 A. I am also thinking of Waterloo --
16 not so much Waterloo, but at one of the other regional
17 sites, the Kitchener regional landfill site, I learned
18 through working on the site that they used a very large
19 amount of cover soil relative to waste. It was about
20 one to one, which really doesn't do well in landfilling
21 and if that was transferred to Waterloo, then that
22 would affect the permeability of the waste.

23 Q. Sure.

24 A. That was the occasion where I
25 could say yes, it would be significant, a one to one



1 ratio. As you will note, the sites are not designed
2 on a one to one basis, nor is there enough soil to deal
3 with it on a one to one basis. That means for every
4 yard of refuse you put a yard of soil in the site and
5 if you consider the cost of establishing a landfill
6 site, you don't want to waste it with placing that much
7 soil. That may be a possibility, but I could not
8 concur that I in any way believe that the refuse itself
9 will have a bulk permeability of 10^{-5} .

10 Q. I am suggesting, Mr. Crutcher, we
11 really don't know all that much about the hydraulic
12 conductivity of waste and we are not sure about the
13 permeability of the daily cover and how much daily
14 cover is actually put on. Is that fair?

15 A. Historically there may be a little
16 bit and in current sites I don't concur at all. Where
17 you have got a fully engineered site, no.

18 MR. HODGSON: Could Mr. Estrin give us
19 an opportunity to review the entire report from which
20 this is an extract?

21 MR. ESTRIN: I have it here and I
22 certainly would.

23 MR. CRUTCHER: I believe that is the
24 report you held up before the Board.

25 MR. LANCASTER: The Board should see it



1 as well.

2 MR. ESTRIN: What I want to suggest is
3 that even if a site were redesigned to 10^{-5} waste to
4 cover -- designed to deal with waste that was 10^{-5} ,
5 taking into account daily cover, et cetera, the
6 hydraulic trap of even that kind of site may fail, fair
7 enough?

8 MR. CRUTCHER: I think Dr. Rowe
9 indicated -- I think he thought you could design around
10 that and I wouldn't do that because I think it's a
11 waste of taxpayers' money, but I believe you can design
12 around that. If in fact that was a design parameter, I
13 believe you can design around that fact.

14 MR. ESTRIN: Q. You have the question
15 reversed. Assuming you wanted to be as conservative as
16 your design document for Waterloo is and design for
17 10^{-5} , even if you have done that, the hydraulic trap
18 may fail for other reasons. The hydraulic trap could
19 fail because of clogging or other reasons and that's
20 all I'm asking.

21 A. Then your question has nothing to
22 do with 10^{-5} , but whether the hydraulic trap can fail
23 and my answer is yes, the hydraulic trap can fail in
24 areas.

25 Q. Even you designed at 10^{-5} , that



1 doesn't mean you have necessarily stopped the site from
2 having an adverse impact, fair enough? That is if you
3 get events you don't want to have happen such as
4 clogging of the leachate collection system?

5 A. If you have designed to 10^{-5} , and
6 the reason I believe 10^{-4} is a conservative value then
7 you have over-designed your leachate collection system
8 and over-designing the leachate collection system will
9 then help minimize the occurrence of a failure because
10 you will have quite a level of redundancy within the
11 system itself. So, if in fact you do design to that,
12 that to me says that your level of problems at the site
13 are even less because of that redundancy level. It's a
14 cost item which you have to weigh, and I would not
15 recommend it to this Board.

16 Q. You seem to have shown a lot of
17 concern about the people in Aldershot who don't use the
18 groundwater and who have an alternative water supply.
19 How about your concern about the people at Site D who
20 have used the groundwater and have no other source? I
21 don't seem to get the same sense of concern about them.

22 A. Most certainly I have that
23 concern, but I indicated that I felt any major landfill
24 site should be designed with the best practical
25 technology and I believe that that is being applied at



1 both sites...

2 Q. I would suggest the most practical
3 and most conservative values are those espoused by your
4 firm in their recommendations to the Region of Waterloo
5 and that's 10^{-5} ?

6 A. I can assure you that is not what
7 is being espoused by the firm.

8 Q. Does that mean Mr. Puskas no
9 longer works for your firm?

10 A. No, it means I am going to have a
11 discussion with Mr. Puskas, because it means he
12 obviously must bone up on the literature and what is
13 reality.

14 MR. ESTRIN: Mr. Chairman, could we
15 please take a break?

16 MR. LANCASTER: Yes, ten minutes.

17 --- Recess

18 MR. LANCASTER: Thank you, please be
19 seated. Mr. Estrin, you left with us what I have
20 marked as M-718, the Waterloo Interim Report.

21 --- EXHIBIT No. M-718: Extracts from Hydrogeologic
22 Investigation, Interim
23 Report, Existing Waterloo
Landfill and Expansion Area.

24 MR. LANCASTER: Will you produce the
entire report, or other parts of it?

25 MR. ESTRIN: I have no need to refer to



1 other parts, and I can produce the whole report for my
2 friends to examine, but the whole report is over one
3 hundred pages.

4 MR. LANCASTER: I realize that. For
5 your purposes, this would suffice?

6 MR. ESTRIN: It would be sufficient, but
7 I am happy to let my friends look at the whole report
8 and if they want to do something further with it, they
9 can.

10 MR. LANCASTER: We can do that later,
11 but we can mark this M-718, the excerpts presented so
12 far.

13 MR. ESTRIN: Thank you.

14 Q. I will give this to you while you
15 are waiting for your colleague, you might recognize it.
16 We'll have your whole life history here.

17 MR. CRUTCHER: A. I can see that.

18 MR. PETRIE: Excuse me. I apologize.

19 MR. ESTRIN: Q. These questions, except
20 for a couple, are for Mr. Petrie.

21 MR. CRUTCHER: A. I would like to make
22 one point. I had an opportunity at the break to read
23 this report you provided me and there is one other
24 important comment I should make about the report.

25 Q. Which report?



1 A. M-717, the Waterloo landfill
2 technical memorandum, the leachate collection system
3 design. I note just after the paragraph you had me
4 read on page 7, it says right under hydraulic
5 conductivity of waste, mid-way in that paragraph:

6 "The expansion areas of the Waterloo
7 Landfill are expected to be operated as
8 a shred landfill. The shredded waste
9 will provide a more homogenous material
10 then (sic) a conventional landfill,
11 however, the compacted waste will have a
12 greater density. No data is available
13 on the hydraulic conductivity of the
14 shredded waste."

15 That is a rather important statement and
16 in fact it may reflect why Mr. Puskas used the 10^{-5} on
17 the basis that it has a higher density. I should also
18 note that there is no longer going to be shredded fill
19 and that is no longer being proceeded with, but I think
20 that is a rather important distinction and I felt
21 perhaps I was a bit hard on Mr. Puskas, because in fact
22 that would be a consideration worthy of following up
23 on, the fact the Region was proceeding with a shred
24 fill.

25 I would also note on page 12, we were



1 doing a section on leachate head versus drain spacing
2 and were using a model and the model was referred to
3 as the HELP model, a model called -- HELP stands for
4 hydraulic evaluation of landfill performance, and if
5 you look at the end of page 12, the last sentence, it
6 says:

7 "It is noted that the default hydraulic
8 conductivity value for refuse used in
9 the HELP model is 1.0×10^{-4} cm/s."

10 And I think that demonstrates that is an industry-wise
11 value.

12 Q. Mr. Crutcher, as the report
13 indicates, there does not appear to be data available
14 on the hydraulic conductivity of shredded waste, right?

15 A. That is correct.

16 Q. Assuming shredding is put into
17 this site. Mr. Crutcher, Waterloo was considering
18 going to shredding for some of its waste?

19 A. For the bulk of its waste, but it
20 turned out to be prohibitively expensive.

21 Q. However, that certainly may be the
22 situation given Halton -- what has been indicated here
23 about Halton's dilemma of dealing with waste. The
24 point is dealing with waste is expensive relatively
25 speaking no matter how you cut it, it seems?



1 A. Excuse the pun.

2 MR. HODGSON: Metaphorically speaking.

3 MR. ESTRIN: Q. Is there any reason to
4 be categorical and say the Region of Waterloo may not
5 want to shred waste for disposal at Site D or Site F in
6 the next twenty years? You can't say that wouldn't be
7 prudent?

8 MR. CRUTCHER: A. The site -- you
9 have to look into the feasibility of that and what I
10 learned in Waterloo is the costs of the shredding are
11 astronomical and I think it ended up to mean something
12 like a capital cost of \$120 million and that was a
13 pretty high cost and the Region took it out of their
14 master plan.

15 Q. That may be an incredible cost,
16 but there are incredible costs associated with the
17 handling of the Region of Halton's garbage over the
18 next two or three years, between now and the actual
19 operation of a new landfill site, whether at Site D or
20 Site F, and if you read the Globe & Mail yesterday it
21 says about \$48 million in terms of trucking it
22 somewhere else?

23 A. The quote I gave you was for just
24 shredding the waste, not all the other associated
25 costs, and the incremental benefit is quite small on



1 the shredding itself.

2 Q. That is because you really don't
3 get much greater density compaction, do you?

4 A. The estimates were going from 1400
5 to 1700 pounds per cubic yard, and typically we are
6 getting 1000 to 1200 pounds.

7 Q. So between 5 and 10 per cent?

8 A. I would say more like 20 per cent
9 or something in that order, but there is a handling
10 problem and a portion of the waste cannot be shredded
11 as well. You have to take that into account. I was
12 not involved in the actual numbers, but just involved
13 -- I was just around during project meetings.

14 Q. I have a report by MacLarens to
15 the Regional Municipality of Waterloo on the
16 feasibility of shredding municipal waste?

17 A. What is the date of that report?

18 Q. May, 1986. It says, it appears,
19 if you will read with me from page 1:

20 "In addition, it appears that the in
21 situ density of the waste might increase
22 by at least 5 to 10 per cent over that
23 of conventional landfilling."

24 A. That may be overall, but I
25 indicated portions of the waste -- portions of the



1 waste cannot be shredded and overall that may be the
2 case.

3 Q. In effect, you may not be having
4 any significant effect on either the density overall or
5 the hydraulic conductivity overall?

6 A. You may not.

7 Q. Yes.

8 A. All I indicated was that when I
9 noted that, I suggested it was something we should take
10 a look into and maybe Mr. Puskas was taking a step
11 ahead and I was a little hard on him.

12 Q. It would be nice to allow the
13 Region of Halton flexibility over the next twenty years
14 to do something like shredding, if that was their
15 choice too, wouldn't it?

16 A. I learned that the feasibility of
17 shredding is out to lunch and so I doubt that would
18 ever happen, and if it was part of the application,
19 then you would have to look into that matter.

20 Q. It may not have to be part of the
21 application.

22 Now, Mr. Petrie, you have indicated to
23 the Board that you consider Dr. Rowe's case 1, which
24 corresponded to Trow's failure case, as reasonable?

25 MR. PETRIE: A. I believe I have, yes.



1 Q. That's in your witness statement.
2 Would you please indicate to the Board just exactly
3 what this failure represents in terms of numbers of
4 cells? Would you agree that it is basically two cells
5 he was considering, or what is your understanding?

6 A. I think Trow was considering, and
7 I don't recall the number of cells they considered, but
8 I noted they have a leachate head in the system and one
9 can relate that to any number of cells.

10 Q. It could be one cell for example,
11 or two?

12 A. It could be one or two.

13 Q. Dr. Rowe's failure scenario
14 considered two cells?

15 A. Could I check on that? I thought
16 it was a total failure and a partial failure. My
17 recollections are two cells.

18 Q. All right. If you learn
19 differently overnight, perhaps you could tell me
20 tomorrow?

21 A. I will.

22 MR. McQUAID: If it is important to have
23 it, let him look at the document now and let's get it
24 on the record right now, rather than spending every
25 night looking up data and checking things over.



1 MR. PETRIE: A. I am looking at page 27
2 of M-442, Dr. Rowe's report, page 27, which addresses
3 the cases considered and I don't see a reference to two
4 cells.

5 MR. ESTRIN: Q. It's based on a length
6 of 575 metres and we may have to go to the exhibit, M-
7 442 to have that more fully described?

8 MR. PETRIE: A. I see a length of 575
9 metres, but I cannot relate that to cell geometry.

10 MR. McQUAID: I might say it seems to me
11 that Mr. Estrin should not be cross-examining the
12 witness on what his own witness has said, or cross-
13 examining Mr. Petrie on what his own witness said, and
14 if it's important that it is one or two cells, then Mr.
15 Estrin should check that before he puts the question.
16 I know there were two possible cells Dr. Rowe said he
17 considered might fail in a certain area, but whether it
18 was at the same time or separate, I don't recall.

19 MR. ESTRIN: It's not important for the
20 purposes of these questions that we answer the question
21 right now, and if Mr. McQuaid wants it answered, let's
22 do it.

23 MR. McQUAID: You were the one who
24 asked him to check.

25 MR. ESTRIN: I thought he would know the



1 answer and I didn't consider it important, but go
2 ahead.

3 DR. KINGHAM: The Board is a bit
4 confused, I must confess, on this point, because case 1
5 says no leachate collection and the L value, as we
6 understand it, applies to cases 2 to 12 and not case 1
7 and I am not sure....

8 MR. ESTRIN: Case 1 is Trow's case.

9 DR. KINGHAM: Isn't that the case to
10 which you are referring, case 1?

11 MR. ESTRIN: Initially. I was asking
12 Mr. Petrie what he understood by that failure scenario.

13 Q. You were saying what, you
14 understood it to apply to the whole of the site?

15 MR. PETRIE: A. I did not understand it
16 was specific to any portion of the site, but I
17 understood Trow assumed no leachate collection system
18 and imposed a head within the landfill as a driving
19 force and then undertook an impact assessment based on
20 a hydraulic head, i.e. a driving force. I believe the
21 arguments would apply to each or any cell.

22 Q. "Each or any"?

23 A. That is my belief, but I do not
24 recall that Trow specified that, because my
25 understanding was a surmising of Trow's discussion to



1 that effect.

2 Q. I thought you said you supported
3 Trow's failure analysis, impact assessment?

4 A. Their failure assessment was based
5 on the leachate head, and I believed the leachate head
6 and gradient they used were appropriate for a failed
7 system.

8 Q. But you are not sure over what
9 area it was applicable?

10 A. I don't recall that Trow addressed
11 that.

12 Q. Are you sure about what mound of
13 leachate Trow's failure scenario represented?

14 A. Right now, no. I recall the
15 discussion was provided during cross-examination or in-
16 chief, and I believe Trow used a gradient as a driving
17 force and they were asked to provide what that head was
18 for the gradient they used, and I do not recall the
19 specifics of the discussion.

20 Q. I think you will find the evidence
21 is that it represented a mound of leachate six metres
22 above the base of the landfill. Let's assume that.

23 A. I can assume that. Can I make a
24 note to that effect?

25 Q. Sure. That would be an average



1 height.

2 A. You are assuming that?

3 Q. I am asking you to assume that and
4 if you wish to check it, fine.

5 A. I can assume that that is Trow's
6 case 1 or Dr. Rowe's case 1, which is Trow's case, that
7 it assumes a 6 metre mound as an average mound.

8 MR. McQUAID: May I just make the point
9 that if there is an assumption to be given based on
10 evidence we have already heard, it's the responsibility
11 of the lawyer, whether it is Mr. Estrin or me or anyone
12 else, to be sure to put that assumption correctly. The
13 witness doesn't have to go back and check if Mr. Estrin
14 is right or not. If that's what the evidence was, then
15 the lawyer is to say, I want you to assume that and
16 that is what the evidence was and the other lawyers can
17 check it, but I don't think the witness has to.

18 MS. CRONK: He did say that.

19 MR. McQUAID: He said if Mr. Petrie
20 wants to check it, he can do it.

21 MS. CRONK: I'm sorry, it's late in the
22 day and it's been a long day, but as I heard Mr.
23 Estrin, that's precisely what he said, he said, "I
24 can't remember," and Mr. Petrie said he couldn't
25 remember and you said, "Fine, you can check if you



1 wish." It's standard practice in reviewing evidence
2 particularly in a lengthy hearing of this kind that you
3 don't have immediate recall of the page reference at
4 your fingertips, but you believe in good faith you are
5 stating the evidence correctly, to say as we have heard
6 over the last few weeks, assume that that is the
7 evidence as I have suggested it to you and if you wish
8 to satisfy yourself, you are free to do so and that is
9 all Mr. Estrin did.

10 MR. McQUAID: I agree, but my point is
11 that the responsibility is on Mr. Estrin.

12 MR. ESTRIN: With the greatest of
13 respect, this witness has come to the Board said he
14 thinks Trow's failure scenario modelling is peachy keen
15 but he is not able to remember what it's all about and
16 he doesn't know how big a site it involved or what head
17 of waste it involved and I thought he might have some
18 idea.

19 Q. In any event, can we assume a 6
20 metre mound?

21 MR. PETRIE: A. We can.

22 Q. Now, Mr. Crutcher, please, I
23 showed you an article you wrote with others at the
24 break and you are a co-author of a paper with McBean et
25 al and would you confirm that this paper deals with a



1 technique for calculating the height of mounding above
2 the base of a landfill for a landfill which has a base
3 slope?

4 MR. CRUTCHER: It does.

5 Q. Would you also confirm....

6 MR. MCQUAID: Could we have copies?

7 MR. ESTRIN: I am not tendering it.

8 Q. Would you confirm the slope of the
9 proposed landfill for Site F is approximately 4 per
10 cent?

11 MR. CRUTCHER: A. I thought it averaged
12 something like 2 per cent and it had a slope and I
13 thought the average was 2 per cent, but I would have to
14 check that.

15 Q. Could you check that overnight?

16 A. I can.

17 Q. Whatever the slope, whether 2 or
18 4, and I would like to have your evidence on that in
19 the morning, based on the equations given in the paper
20 you were a co-author of, would you agree the average
21 depth of leachate mound between two collection tiles
22 will decrease as one increases the slope?

23 A. Yes. In fact, I have just
24 recently completed calculations on the head, or I will
25 when I have completed, because they are not completely



1 finalized, but the head calculations on the liner which
2 has a slope consideration and it does have an effect.
3 The numbers that Mr. Hodgson provided was assuming
4 without a slope and I was doing the more sophisticated
5 calculations with the slope and it does have an effect.

6 Q. Am I correct in understanding that
7 all other things being equal, the equations in that
8 paper show that the steeper the slope, the lower the
9 average height of mound?

10 A. Yes.

11 Q. Could you take a flip chart and
12 illustrate what we have just been discussing?

13 A. That is very simplified, but if we
14 have a flat base for instance, you develop a mound
15 between two leachate collectors, and at the centre I
16 have labelled it as X_1 and if you have a sloped
17 landfill you will have a mound developed between the
18 two collector pipes which is not centred within the
19 pipes and I believe, if I recall, it's a little bit
20 more on the downslope side, as X_2 , and X_1 will be
21 greater than X_2 and it depends upon the situation. You
22 can engineer around various scenarios to get the head
23 by placing drainage -- you have a number of options
24 available for adjusting the head and the closeness of
25 the leachate collectors by the placing of the drainage



1 blanket or sloping the base, and there are quite a
2 number of options available to control the head within
3 the site.

4 Q. Would I be right in saying that
5 you can fill a bathtub that is flat higher than one
6 that's on a slope?

7 A. The analogy doesn't quite apply,
8 but essentially that is true.

9 Q. When you have a slope, it runs
10 down the low side essentially?

11 A. To some extent, yes.

12 Q. Now, could we turn to Exhibit 617,
13 and I guess we should come back -- you can stay with
14 us, Mr. Crutcher. Exhibit 617 is the Site F report,
15 page 157, page 157 of B-617?

16 A. I didn't know it went that high.

17 Q. This may be a typographical error.
18 No, there is a page 157.

19 A. We were certainly verbose.

20 Q. Can you please read the paragraph
21 that begins "Mounding"?

22 A. "Mounding of leachate within the
23 landfill will effectively increase the
24 horizontal... gradient in the underlying
25 shale."



1 Q. The horizontal hydraulic gradient?

2 A. Yes, in the underlying shale.

3 Shall I read the whole paragraph?

4 Q. Please read that whole paragraph.

5 A. "For an assumed leachate mound of
6 approximately 6 m and assuming the
7 hydraulic head in the shale at a point
8 300 m downgradient does not change, the
9 horizontal hydraulic gradient increases
10 to approximately 0.05. The groundwater
11 flux in the underlying shale
12 increases to 47.3 to 94.6 m³/yr
13 respectively for the thickness
14 considered above. Again, assuming that
15 all the exfiltration from the landfill
16 exits the system laterally, a potential
17 exfiltration rate of 37.8 to 75.7 mm/yr
18 respectively is calculated...."

19 Q. Read the last sentence.

20 A. "This scenario does not provide an
21 exact measure of exfiltration, but does
22 demonstrate that a conservative
23 exfiltration estimate from the base of
24 the landfill in the range of 50 to 100
25 mm/yr is reasonable."



1 Q. To summarize to this point, I take
2 it you consider a 6 metre mound at Site F and you
3 calculate the corresponding exfiltration into the shale
4 to be between 37.8 and 75.7 millimetres per annum and
5 then, to be conservative, at the bottom of the page you
6 round these numbers to a range of up to between 50 and
7 100 millimetres per year?

8 A. That is correct.

9 Q. My question is, if you have a 6
10 metre mound at Site F where the base slope we will
11 assume is at this point 4 per cent; for the same
12 failure conditions, would you not have even a greater
13 mound at Site D where the base slope is only 0.25 per
14 cent?

15 A. Could you say that again?

16 Q. Sure. If you have a 6 metre mound
17 at Site F and let's assume a base slope of 4 per cent,
18 a sloped base?

19 A. Yes.

20 Q. For the same failure conditions,
21 would you not have an even greater mound at Site D,
22 where the base slope is only 0.25 per cent?

23 A. Yes, you would.

24 Q. Mr. Petrie, let's assume the
25 failure scenario that Trow considered involved a 6



1 metre mound at Site F, all right?

2 MR. PETRIE: A. I am not sure Trow
3 considered a failure scenario at Site F with respect to
4 mounding.

5 Q. Let's consider that in their
6 failure scenario, there was a 6 metre mound?

7 A. Do you mean Site F or Site D?

8 Q. Was there no failure scenario by
9 Trow for Site F?

10 A. I don't think they detailed it
11 with respect to mound.

12 Q. My recollection is that Mr.
13 Sobanski said you could assume the same scenario for
14 the purposes of calculation at Site F and have you any
15 recollection?

16 A. No, I do not.

17 Q. I guess we'll both have to check.
18 If a failure scenario at Site F involves a 6 metre
19 mound, I suggest it would be reasonable to expect a
20 greater mound at Site D under the same conditions and
21 that is what Mr. Crutcher has essentially told us?

22 A. I believe Mr. Crutcher was
23 referring to the mound height developed on the slope
24 between specific drain spacings. I recall when Trow
25 described their failure scenario, they just said no



1 collection system working, but I don't believe they
2 used the Rothe equation to define what that head meant,
3 they just took a head, or they took a gradient to
4 define their failure condition.

5 Q. Let's go back to page 157 of your
6 Site F report, B-617, and let's go over the paragraph I
7 just had Mr. Crutcher read out and that is, "Mounding
8 of leachate within the landfill..." talking about
9 Site F.

10 A. We are on page 157.

11 Q. You say:

12 "For an assumed leachate mound of
13 approximately 6 m, and assuming the
14 hydraulic head in the shale at a point
15 300 m downgradient does not change....
16 there will be an increased hydraulic
17 gradient and increased groundwater
18 flux."

19 A. Correct.

20 Q. And an increased exfiltration
21 rate?

22 A. Correct.

23 Q. You have assumed in considering
24 Site F in terms of assessing its impact, a scenario
25 where there is a 6 metre mound?



1 A. Correct.

2 Q. What I am saying to you is that
3 based on what Mr. Crutcher has just told us, if you can
4 assume a 6 metre mound at Site F, I am suggesting it
5 would be reasonable and consistent with Mr. Crutcher's
6 work and his testimony to expect the same mound would
7 be higher -- the same conditions would produce a mound
8 that is higher at Site D?

9 A. It may be reasonable, I believe,
10 to evaluate the reasonableness of that and one would
11 have to examine the cell geometry. I also believe both
12 Trow and Dr. Rowe assumed the peripheral drains, and I
13 am not sure that's the correct engineering term for it,
14 but the peripheral drains were working. I do not have
15 the relative geometry of those in my head, and so there
16 are some other facts which impinge upon that number.

17 Q. Have either of you gentlemen
18 previous to this moment calculated, if you have assumed
19 as you have at page 157 of your report, a 6 metre mound
20 at Site F, what the failure conditions that produced
21 that 6 metre mound would produce at Site D, given Mr.
22 Crutcher's writings and testimony on this topic?

23 A. I have not.

24 Q. Have you, Mr. Crutcher?

25 MR. CRUTCHER: A. The sites are



1 different, so you can't take a direct relationship
2 between the two because of different design, but no, we
3 have not, or I have not calculated nor has Mr. Petrie
4 done any direct calculations. The 6 metres came from a
5 value I gave Mr. Petrie, and it was essentially off the
6 top of my head and was -- Dr. Rowe, I believe, used a
7 value of 18 metres....

8 Q. That was one of his twelve cases?

9 A. That was one of the values used
10 and I thought that was ridiculous and off the top of my
11 head I indicated to Mr. Petrie use something like 6
12 metres and that as much thought that went into that
13 particular number.

14 MR. PETRIE: A. Could I make a comment?

15 I think what Mr. Crutcher meant was a
16 reference to 18 metres and that was for Site F and the
17 12 cases I believe relate to Site D.

18 Q. All right. I am suggesting, and I
19 wonder if you can agree, but it would not be consistent
20 if you are considering a 6 metre mound at Site F to
21 suggest that you can't get more than a 6 metre mound at
22 Site D. It would not be consistent with Mr. Crutcher's
23 work and testimony?

24 A. Mr. Crutcher indicated the mound
25 height is also a function of landfill geometry and I



1 can't speak to the landfill geometry.

2 Q. Neither of you have done that
3 calculation, so neither of you are in a position to
4 suggest that based on the calculations reported by Mr.
5 Crutcher in his paper, a 6 metre mound -- a mound
6 greater than 6 metres would not be unreasonable?

7 A. I am sorry, which site are we on?

8 Q. Site D. I want to end up at Site
9 D. You have assumed a 6 metre mound at Site F, a
10 sloping site, and Mr. Crutcher says if you compare a
11 sloping site and a flat site you will get a higher
12 mound on the flat site and you have assumed a 6 metre
13 mound on a sloping site, Site F, and I suggest the same
14 conditions that produced that 6 metre mound at Site F
15 would produce a higher mound at Site D?

16 A. Again I can only repeat that the
17 landfill geometry impacts on that calculation and I
18 haven't done that calculation.

19 Q. That landfill geometry is one
20 thing in the formula, Mr. Crutcher?

21 MR. CRUTCHER: A. It is. The
22 calculation would have to be done to properly answer
23 that question.

24 Q. Mr. Petrie, the exfiltration of 50
25 to 100 millimetres per year that you have indicated is



1 reasonable at Site F, right?

2 MR. PETRIE: There has been additional
3 discussion on that, yes.

4 Q. You said it was reasonable at page
5 157?

6 A. I believe we indicated that 50 was
7 the most reasonable number of the range and 100
8 millimetres per year was not unreasonable in
9 discussion.

10 Q. That is based on an average mound
11 over the entire site of 6 metres?

12 A. It stems from it in part and it's
13 not a direct relationship.

14 Q. But it included that assumption?

15 A. The assumption of 6 metre mounding
16 gave exfiltration numbers as you see them before you
17 and we took a conservative value from that to estimate
18 that exfiltration could range from 50 to 100
19 millimetres per year.

20 Q. The second sentence in the
21 paragraph in the middle of page 157 says:

22 "For an assumed leachate mound of
23 approximately 6 m...."

24 A. That is what that sentence says.

25 Q. What I am suggesting to you is



1 that a 6 metre mound which you have assumed over Site
2 F, the entire Site F, either represents a large scale
3 failure or a hydraulic conductivity of the waste of
4 about 10^{-5} ?

5 A. In the absence of doing
6 calculations, I couldn't answer. We noted that Dr.
7 Rowe, when he did similar -- or it's my opinion,
8 because he may have a different opinion, but he had
9 used a head build-up at Site F of 18 metres, and we
10 felt that was rather an excessive head build up and
11 were a head build-up of 18 metres to have occurred,
12 then I believe the site operators would be aware of it
13 and be instigating some sort of remedial activity to
14 prevent additional build up. We felt 6 metres was a
15 more reasonable number.

16 I also note at Site D, I believe, Dr.
17 Rowe only considered a maximum failure height of 15
18 metres.

19 Q. My question is very simple.

20 A. Perhaps then I am
21 misunderstanding.

22 Q. You have a 6 metre mound that you
23 have assumed at Site F and you have produced some
24 exfiltration numbers and that mounding is one of the
25 parameters in the exfiltration?



1 A. That is correct.

2 Q. I am suggesting the only way you
3 are going to get a 6 metre mound at Site F is on the
4 basis of a large scale failure of your leachate
5 collection system or by having a hydraulic conductivity
6 of the waste of about 10^{-5} ?

7 A. I responded that I believe that
8 until I do the calculations, I cannot answer.

9 Q. Let me suggest you get a 6 metre
10 mound from 50 metre spacing?

11 A. I am sorry, I just want to make a
12 note if you want to go a bit slower.

13 Q. Perhaps you can check this. You
14 would get a 6 metre mound if your leachate collection
15 system pipes were 50 metres apart and the hydraulic
16 conductivity of the waste was 10^{-5} ?

17 A. A 6 metre mound for a spacing of
18 50 metres.

19 Q. And a hydraulic conductivity of
20 the waste of 10^{-5} ?

21 A. What is the infiltration you have
22 used for that calculation?

23 Q. Perhaps you can let us know.

24 A. Perhaps I can. You are giving me
25 two variables, and I can examine a third variable, yes.



1 Q. Mr. Petrie, if you have a 6 metre
2 mound over the entire area of Site F where there is a 4
3 per cent slope, isn't it -- I am sorry, you're writing?

4 A. I'm sorry, I was reading.

5 Q. If one could have a 6 metre mound
6 over the entire area of Site F where there is a 4 per
7 cent slope, isn't it equally possible that you could
8 have a failure of only two cells at Site D?

9 A. I don't see the two are related.
10 You could have a failure at Site D of two cells
11 independent of Site F.

12 Q. Of course. I am suggesting to
13 you that the scenario which envisions and which tries
14 to assess the impact of a failure of only two cells at
15 Site D is more realistic in a way than trying to assume
16 a 6 metre mound over the entire Site F unless you want
17 to take a K of the waste of 10^{-5} ?

18 A. I believe we have indicated we
19 don't consider that appropriate.

20 Q. Right. I think you have driven
21 back -- if you don't want to take that assumption -- to
22 the fact you are assuming a 6 metre mound at Site F
23 because of a large scale failure over the bulk of the
24 site of your leachate collection system, and I am
25 suggesting Dr. Rowe has been much more reasonable than



1 that and only wants to consider a failure scenario
2 involving two cells in Site D?

3 A. At Site F I believe he used a
4 value of an 18 metre mound.

5 Q. That is not being responsive to my
6 question.

7 A. I am sorry, then I am
8 misunderstanding you.

9 Q. I'll try again. Your 6 metre
10 mound from page 157 of your report...

11 A. Site F report.

12 Q. Site F report.

13 A. An assumed mound.

14 Q. You are talking about an assumed
15 mound of 6 metres, and you have calculated exfiltration
16 and other values. The exfiltration values I suggest
17 that you have reported there on 157, 50 to 100
18 millimetres, were based, I suggest, if you go back and
19 look at your calculation, on an average mound over the
20 entire site, Site F, and that's all I'm suggesting
21 right there and is that fair and can you agree?

22 A. I have indicated we haven't done
23 the calculations, and perhaps that is why I am getting
24 confused with your question.

25 Q. Can you check that overnight?



1 A. Can I do some calculations to that
2 effect? I can.

3 Q. Specifically, did you not have to
4 assume an average mound over the entire Site F in order
5 to come up with your 6 metre mound to get the
6 exfiltration you have reported on page 157?

7 A. We assumed the mound and it is
8 across the entire site, in order that a stronger
9 driving force would be generated, and if that's the
10 case; that stronger driving force is the gradient which
11 enters into the calculation.

12 Q. So you can answer, you did assume
13 a 6 metre mound over the entire Site F for the purposes
14 of that calculation?

15 A. Correct.

16 Q. I suggest the only way you can get
17 that 6 metre mound at Site F is based on a large scale
18 failure over the bulk of the site, your leachate
19 collection system, or a hydraulic conductivity of the
20 waste of 10^{-5} and you reject that proposition and I am
21 suggesting to you that the calculations you present in
22 your report have to be based on an assumed large scale
23 failure of the leachate collection system at Site F?

24 A. That appears reasonable on the
25 face of it, but, as I indicated, we have not done the



1 calculations and this was an assumption.

2 Q. I am also suggesting to you that
3 you were prepared to accept for the purposes of
4 presenting data to this Board, a 6 metre mound over the
5 entire area where there is a 4 per cent slope; right?

6 A. Correct.

7 Q. I'm asking you, isn't it....

8 A. I'm sorry, I don't mean to
9 interrupt, but I'm not sure of the 4 per cent slope.

10 Q. You are going to check that, there
11 is a more significant slope than at Site D?

12 A. Yes.

13 Q. Isn't it at least equally
14 possible, and this is my question, that you could have
15 a failure of only two cells at Site D, and you say -- I
16 don't know if you follow the question?

17 A. I'm sorry, it's late in the day.

18 Q. Well, I'll try. Your failure
19 scenario on page 157 assumes a 6 metre mound over the
20 entire Site F?

21 A. It does.

22 Q. That has to be based, unless you
23 go to a K of 10^{-5} of the waste, on a wide scale failure
24 of the leachate collection system?

25 A. That is presumably the result of



1 your calculations.

2 Q. It seems reasonable and it is
3 inherent in your calculation?

4 A. I am sorry.

5 Q. Which you haven't done, but it
6 would be if you considered it. I am suggesting, Mr.
7 Petrie, that you were prepared to assume this 6 metre
8 mound over the bulk of the site and Dr. Rowe has been
9 much more conservative in a way, or perhaps you might
10 call it realistic, I don't know what you want to call
11 it, by only wishing to discuss a failure scenario at
12 Site D that involved two cells?

13 A. The use of a gradient as it is
14 input into either the calculation for exfiltration or
15 an impact assessment regarding contaminant travel times
16 is just a gradient, and I don't know that it has to be
17 related back to the area of the site. I am sorry.

18 Q. I am sure you will want to think
19 about that overnight?

20 A. Yes.

21 Q. You told me a minute ago the 6
22 metre mound was assumed for the entire site to
23 produce your exfiltration?

24 A. For Site F?

25 Q. Yes.



1 calculations and this was an assumption.

2 Q. I am also suggesting to you that
3 you were prepared to accept for the purposes of
4 presenting data to this Board, a 6 metre mound over the
5 entire area where there is a 4 per cent slope; right?

6 A. Correct.

7 Q. I'm asking you, isn't it....

8 A. I'm sorry, I don't mean to
9 interrupt, but I'm not sure of the 4 per cent slope.

10 Q. You are going to check that, there
11 is a more significant slope than at Site D?

12 A. Yes.

13 Q. Isn't it at least equally
14 possible, and this is my question, that you could have
15 a failure of only two cells at Site D, and you say -- I
16 don't know if you follow the question?

17 A. I'm sorry, it's late in the day.

18 Q. Well, I'll try. Your failure
19 scenario on page 157 assumes a 6 metre mound over the
20 entire Site F?

21 A. It does.

22 Q. That has to be based, unless you
23 go to a K of 10^{-5} of the waste, on a wide scale failure
24 of the leachate collection system?

25 A. That is presumably the result of



1 your calculations.

2 Q. It seems reasonable and it is
3 inherent in your calculation?

4 A. I am sorry.

5 Q. Which you haven't done, but it
6 would be if you considered it. I am suggesting, Mr.
7 Petrie, that you were prepared to assume this 6 metre
8 mound over the bulk of the site and Dr. Rowe has been
9 much more conservative in a way, or perhaps you might
10 call it realistic, I don't know what you want to call
11 it, by only wishing to discuss a failure scenario at
12 Site D that involved two cells?

13 A. The use of a gradient as it is
14 input into either the calculation for exfiltration or
15 an impact assessment regarding contaminant travel times
16 is just a gradient, and I don't know that it has to be
17 related back to the area of the site. I am sorry.

18 Q. I am sure you will want to think
19 about that overnight?

20 A. Yes.

21 Q. You told me a minute ago the 6
22 metre mound was assumed for the entire site to
23 produce your exfiltration?

24 A. For Site F?

25 Q. Yes.



1 calculations and this was an assumption.

2 Q. I am also suggesting to you that
3 you were prepared to accept for the purposes of
4 presenting data to this Board, a 6 metre mound over the
5 entire area where there is a 4 per cent slope; right?

6 A. Correct.

7 Q. I'm asking you, isn't it....

8 A. I'm sorry, I don't mean to
9 interrupt, but I'm not sure of the 4 per cent slope.

10 Q. You are going to check that, there
11 is a more significant slope than at Site D?

12 A. Yes.

13 Q. Isn't it at least equally
14 possible, and this is my question, that you could have
15 a failure of only two cells at Site D, and you say -- I
16 don't know if you follow the question?

17 A. I'm sorry, it's late in the day.

18 Q. Well, I'll try. Your failure
19 scenario on page 157 assumes a 6 metre mound over the
20 entire Site F?

21 A. It does.

22 Q. That has to be based, unless you
23 go to a K of 10^{-5} of the waste, on a wide scale failure
24 of the leachate collection system?

25 A. That is presumably the result of



1 your calculations.

2 Q. It seems reasonable and it is
3 inherent in your calculation?

4 A. I am sorry.

5 Q. Which you haven't done, but it
6 would be if you considered it. I am suggesting, Mr.
7 Petrie, that you were prepared to assume this 6 metre
8 mound over the bulk of the site and Dr. Rowe has been
9 much more conservative in a way, or perhaps you might
10 call it realistic, I don't know what you want to call
11 it, by only wishing to discuss a failure scenario at
12 Site D that involved two cells?

13 A. The use of a gradient as it is
14 input into either the calculation for exfiltration or
15 an impact assessment regarding contaminant travel times
16 is just a gradient, and I don't know that it has to be
17 related back to the area of the site. I am sorry.

18 Q. I am sure you will want to think
19 about that overnight?

20 A. Yes.

21 Q. You told me a minute ago the 6
22 metre mound was assumed for the entire site to
23 produce your exfiltration?

24 A. For Site F?

25 Q. Yes.



Nethercut & Co. Ltd.

Toronto, Ontario

29832

Crutcher, Petrie
cr-ex (Estrin)

1 A. Yes.

2 Q. Let's try another way of coming at
3 it. I think you told the Board on numerous occasions
4 you considered Dr. Rowe's failure cases at Site D, 6 to
5 10, to be unreasonable, page 27?

6 A. Yes.

7 Q. Those cases involved the total
8 failure of the collection tiles and I suggest if you
9 check that that involved two cells?

10 A. You suggested that I check
11 tonight, yes.

12 Q. Can you explain to me how it is
13 that you assume a mound at Site F of 6 metres is
14 reasonable and Dr. Rowe's mound of 4.8 metres at Site
15 D, say in case 6, is unreasonable? I am looking at
16 page 27 of Exhibit M-442, and you will agree with me
17 that Mr. Hodgson or someone, and I don't know if it's
18 in your copy, had us write the height of the mound in
19 each scenario beside the second column?

20 A. I have a clean copy and I don't
21 have mine marked up.

22 Q. Do you have that, Mr. Hodgson, the
23 height of mound?

24 Well, I think we can go back over this
25 and perhaps that's something that you can confirm for



1 me tonight, Mr. Petrie, the height of mound, and Mr.
2 Crutcher perhaps can take note of this, but the height
3 of mound that is produced in Dr. Rowe's total failure
4 scenario, case 6, is only 4.8 metres. Could you please
5 check that overnight?

6 A. Yes. That was case 6?

7 Q. Yes.

8 A. It looks correct, yes.

9 Q. What I am saying to you, and I am
10 asking you to assume that that is the mound that Dr.
11 Rowe would calculate for that failure scenario and can
12 you explain to me how it is that your mound at Site F
13 of 6 metres is reasonable and a 4.8 metre mound at Site
14 D is unreasonable?

15 A. I note for the case you have
16 referenced for Site D, there is the waste permeability
17 of 10^{-3} .

18 Q. Which is the number you would
19 accept?

20 A. As within the range of reason,
21 yes, but for calculating failure modes, I believe we
22 would use 1.0×10^{-4} for assessing any mound within a
23 landfill.

24 Q. The question is simply, you have
25 assumed a 6 metre mound at Site F for the purposes of



1 producing figures to this Board and you said Dr. Rowe
2 has been unreasonable in his scenarios, and yet his
3 scenario involving case 6 is only producing and using a
4 4.8 metre mound, and I am suggesting that you in fact
5 are the one who is being unreasonable?

6 A. I cannot agree I am being
7 unreasonable. You are pointing out differences between
8 the two sites, and I have indicated I have not done the
9 calculation, and I also said that the geometry of the
10 system impacts upon that calculation. As I recall,
11 Dr. Rowe in his discussion of the cases, he had assumed
12 for all his cases that the periphery drains were
13 working and I believe there was a drain across the
14 middle of the site which he describes as a peripheral
15 drain and I believe if you are going to have that drain
16 working, you can't have more than two cells failing.

17 Q. Mr. Petrie, perhaps I can try it
18 another way. According to the report from Waterloo I
19 discussed with Mr. Crutcher a few moments ago, at
20 Waterloo there was a mound from 3.7 to 5.5 metres and
21 possibly as much as 13.4 metres?

22 A. I recall those numbers.

23 Q. If you could have a mound of that
24 magnitude at Waterloo, and if you consider it
25 appropriate to consider a 6 metre mound on a steeply



1 sloping landfill at Site F, relatively speaking, then
2 if one was really trying to be fair, wouldn't you agree
3 that it might in fact be reasonable to consider a
4 failure with a 9 to 10 metre mound at Site D or at Site
5 F?

6 A. I have indicated again that it's a
7 function of the geometry and I have not done those
8 calculations to indicate just what that would be. I
9 cannot answer your question as of now.

10 Q. I think you will find the answer
11 about the 4.8 metre mound for case 6 in M-442, page 27.

12 A. I have that before me.

13 Q. Would you agree that case 10 of
14 Dr. Rowe's corresponds to an average leachate head of
15 9.8 metres?

16 A. Case 10 looks like 9.8 metres. I
17 also note for case 6 that you referenced earlier that
18 he has a hydraulic conductivity of the upper till ten
19 times in excess of the value....

20 Q. We are not discussing that, but
21 the height of the mound, and I am asking you if one was
22 trying to be fair, wouldn't you agree it would be
23 reasonable to examine a mound at Site D of 9 to 10
24 metres, based on the Waterloo experience and the fact
25 that you assumed a 6 metre mound at Site F on a slope



1 and according to Mr. Crutcher's calculations, there
2 must be a higher mound on a flat surface at Site D?
3 I am just asking you, don't you want to be fair?

4 A. I do want to be fair.

5 Q. Thank you.

6 A. Yes.

7 MR. ESTRIN: Mr. Chairman, perhaps we
8 could, as this would be the appropriate time?

9 DR. KINGHAM: Before we do, can we at
10 least agree where we are on the base contours of Site F
11 and to save anybody from using different numbers in
12 going over this ground tomorrow. The numbers which I
13 recall as being most current, and please correct me if
14 I am wrong, would be from page 3 of H-42B, which reads:

15 "The base elevation at the north end is
16 177 metres above sea level and slopes to
17 the south at about 4 per cent for a
18 distance of about 210 metres and a step
19 is affected at this point dropping from
20 169 metres above sea level to 162 metres
21 above sea level, and the base then
22 varies in slope to the south at about
23 2.4 to 4 per cent."

24 Is that where we are in terms of the
25 site design, the last evidence I assume? That is what



Nethercut & Co. Ltd.

Toronto, Ontario

29837

Crutcher, Petrie
cr-ex (Estrin)

1 we will go from....

2 MR. CRUTCHER: I wanted to check the
3 revised design of the base.

4 DR. KINGHAM: I understood H-42B, and we
5 had a long discussion as to whether it was to be or not
6 to be, and it was decided it was.

7 MR. LANCASTER: 9:30.


8 --- Adjournment (4:26 p.m.)

9

10 CERTIFIED CORRECT:

11

12


C. F. Nethercut, C.V.R.

13

(Page 29900 follows)

14

15

16

17

18

19

20

21

22

23

24

25