

CONSOLIDATED HEARINGS BOARD

IN THE MATTER OF Sections 2 and 3 and 6 (3) of the Consolidated Hearings Act, 1981, S.O. 1981, c.20;

— and —

IN THE MATTER OF Section 12(2) of the Environmental Assessment Act, R.S.O. 1980, c.140;

— and —

IN THE MATTER OF Sections 30, 35 and 38 of the Environmental Protection Act, R.S.O. 1980, c.141, as amended;

— and —

IN THE MATTER OF Sections 24 and 61 (2) of the Ontario Water Resources Act, R.S.O. 1980, c.361, as amended;

— and —

IN THE MATTER OF Section 28 (3) of, and Regulation 164 under, the Conservation Authorities Act, R.S.O. 1980, c.85, as amended;

— and —

IN THE MATTER OF Section 40(12) of the Planning Act, S.O. 1983, c.1, as amended; in connection with site plan control of the sanitary landfill site;

— and —

IN THE MATTER OF Section 22(1) of the Planning Act, 1983 in connection with a referral to this Board by the Honourable Bernard Grandmaitre, Minister of Municipal Affairs, on a request by the Regional Municipality of Halton to amend the Official Plan for the Town of Milton to redesignate a parcel of land comprising Part Lots 3 and 4, Concession 2 N.S. in the Town of Milton from "Agriculture" and "Conservation and Hazard Lands" to permit the construction, operation and maintenance of a landfill site, Minister's File No. 24-OP-0208-A01;

— and —

IN THE MATTER OF Section 34(11) of the Planning Act, 1983 in connection with an appeal to this Board by the Regional Municipality of Halton for an order directing an amendment to By-law 61-85 of the Town of Milton to rezone the lands situated at Lot 3 and part of Lot 4, Concession 2 N.S., in the Town of Milton from "Agriculture" to permit a regional sanitary landfill site and ancillary uses;

— and —

IN THE MATTER OF Section 15(1) of the Planning Act, R.S.O. 1980 ch.379 in connection with a referral by the Honourable Claude F. Bennett, Minister of Housing on a request by Tremaine Britannia Citizen's Group for consideration of part of the Official Plan for the Halton Planning Area with respect to Sections 1 to 5 inclusive, 7, 9 and 10 of Part III D3 Solid Waste Management, Minister's File No. OPC-0026;

— and —

IN THE MATTER OF Section 64 of the Ontario Municipal Board Act, R.S.O. 1980, c.347 as amended in connection with an application by the Regional Municipality of Halton for an order approving:

a) the acquisition of land for the construction, operation and maintenance of a sanitary landfill site to contain 7.96 million cubic metres of waste in the Regional Municipality of Halton and to do so by one of two alternative methods as follows:

- (i) landfilling at the site referred to in Halton's Environmental Assessment as Site F in the City of Burlington;
- (ii) landfilling at the site commonly referred to in Halton's Environmental Assessment as Site D in the Town of Milton

at an estimated cost of \$12,775,000.00, and the borrowing of money by way of temporary advances not exceeding in the aggregate such estimated cost pending the sale of debentures, and

(b) the issuance of necessary debentures to a maximum of \$12,775,000.00 for a term not to exceed fifteen years;

— and —

IN THE MATTER OF Section 193(5) and Paragraph 84 of Section 210 of the Municipal Act, R.S.O. 1980, c.302, as amended;

— and —

IN THE MATTER OF Sections 6, 7 and 8 of the Expropriations Act, R.S.O. 1980, c.148;

— and —

IN THE MATTER OF an undertaking of the Regional Municipality of Halton to provide facilities for the purpose of receiving, dumping and disposing of waste as required by section 137 of the REGIONAL MUNICIPALITY OF HALTON ACT, R.S.O. 1980, c.436, as amended, by acquiring the land for, constructing, operating and maintaining a landfill to contain 7.96 million cubic metres of waste in the Regional Municipality of Halton.

VOLUME: 39 ✓

HELD AT: Oakville, Ontario

DATE: October 7, 1987

OFFICIAL REPORTERS

NETHERCUT & COMPANY LTD.

185 RICHMOND ST. W.,

TORONTO, ONT. M5V 1V3

TEL: 593-4802



Nethercut & Co. Ltd.

Toronto, Ontario

I N D E X

1	<u>Witnesses</u>	<u>Page No.</u>
2	<u>SOBANSKI</u> , Alfred A. (resumed)	
3	<u>BEECHINOR</u> , James (resumed)	
4	Cross-examination by Ms Vigod (cont'd)	8554
5		
6		
7		
8		
9	<u>E X H I B I T S</u>	
10	<u>No.</u> <u>Description</u>	<u>Page No.</u>
11	WB-225 Sheet showing estimated	8558
12	percentages of fracture in	
	units on Figure 2	
13	WB-226 Excerpt from paper entitled	8648
14	"Proceedings Technology Transfer	
15	Conference, December 8 & 9, 1986"	
	by R. Blackport, E.A. Sudicky and	
	J.A. Cherry	
16	B-217B Excerpt from Hydrogeological Study -	8685
17	Burlington Landfill Site, dated	
	March, 1984	
18	WB-227 Summary of Water Well Sampling	8694
19		
20		
21		
22		
23		
24		
25		



THE CONSOLIDATED HEARINGS BOARD

1 IN THE MATTER OF Sections 2 and 3 and 6(3) of the
2 Consolidated Hearings Act, 1981, S.O. 1981, c. 20;

- and -

3 IN THE MATTER OF Sections 12(2) of the Environmental
4 Assessment Act, R.S.O. 1980, c.140;

- and -

5 IN THE MATTER OF Sections 30, 35 and 38 of the
6 Environmental Protection Act, R.S.O. 1980, c.141, as
7 amended;

- and -

8 IN THE MATTER OF Sections 24 and 61(2) of the Ontario
9 Water Resources Act, R.S.O. 1980, c.361, as amended;

- and -

10 IN THE MATTER OF Section 28(3) of, and Regulation 164
11 under, the Conservation Authorities Act, R.S.O. 1980,
12 c.85, as amended;

- and -

13 IN THE MATTER OF Section 40(12) of the Planning Act,
14 S.O. 1983, c.1, as amended; in connection with site
15 plan control of the sanitary landfill site;

- and -

16 IN THE MATTER OF Section 22(1) of the Planning Act,
17 1983 in connection with a referral to this Board by the
18 Honourable Bernard Grandmaitre, Minister of Municipal
19 Affairs, on a request by the Regional Municipality of,
20 Halton to amend the Official Plan for the Town of
21 Milton to redesignate a parcel of land comprising Part
22 Lots 3 and 4, Concession 2 N.S. in the Town of Milton
23 from "Agriculture" and "Conservation and Hazard Lands"
24 to permit the construction, operation and maintenance
25 of a landfill site, Minister's File No. 24-OP-0208-A01;

- and -

IN THE MATTER OF Section 34(11) of the Planning Act,
1983 in connection with an appeal to this Board by the
Regional Municipality of Halton for an order directing
an amendment to By-law 61-85 of the Town of Milton to
rezone the lands situated at Lot 3 and part of Lot 4,
Concession 2 N.S., in the Town of Milton from
"Agriculture" to permit a regional sanitary landfill
site and ancillary uses;

- and -

IN THE MATTER OF Section 15(1) of the Planning Act,
R.S.O. 1980 ch.379 in connection with a referral by the
Honourable Claude F. Bennett, Minister of Housing on a
request by Tremaine Britannia Citizen's Group for
consideration of part of the Official Plan for the
Halton planning Area with respect to Sections 1 to 5
inclusive, 7, 9 and 10 of Part III D3 Solid Waste
Management, Minister's File No. OPC-0026;



- and -

IN THE MATTER OF Section 64 of the Ontario Municipal Board Act, R.S.O. 1980, c.347, as amended in connection with an application by the Regional Municipality of Halton for an order approving:

(a) The acquisition of land for the construction, operation and maintenance of a sanitary landfill site to contain 7.96 million cubic metres of waste in the Regional Municipality of Halton and to do so by one of two alternative methods as follows:

(i) landfilling at the site referred to in Halton's Environmental Assessment as Site F in the City of Burlington;

(ii) landfilling at the site commonly referred to in Halton's Environmental Assessment as Site D in the Town of Milton.

at an estimated cost of \$12,775,000.00 and the borrowing of money by way of temporary advances not exceeding in the aggregate such estimated cost pending the sale of debentures, and

(b) the issuance of necessary debentures to a maximum of \$12,775,000.00 for a term not to exceed fifteen years;

- and -

IN THE MATTER OF Section 193(5) and Paragraph 84 of Section 210 of the Municipal Act, R.S.O. 1980, c.302, as amended;

- and -

IN THE MATTER OF Sections 6, 7 and 8 of the Expropriations Act, R.S.O. 1980, c.148;

- and -

IN THE MATTER OF an undertaking of the Regional Municipality of Halton to provide facilities for the purpose of receiving, dumping and disposing of waste as required by section 137 of the REGIONAL MUNICIPALITY OF HALTON ACT, R.S.O. 1980, c.436, as amended, by acquiring the land for, constructing, operating and maintaining a landfill to contain 7.96 million cubic metres of waste in the Regional Municipality of Halton.

BEFORE: Dr. D.J. Kingham - Acting Chairman

H.H. Lancaster, Q.C. - Member

S. Tanner - Member



Nethercut & Co. Ltd.

Toronto, Ontario

Hearing conducted at The Oakville
Granary Commercial Centre, 105 Robinson
Street, Oakville, Ontario, on Wednesday,
October 7, 1987

VOLUME 39

APPEARANCES:

T.R. Lederer and H.D. Hodgson	for the Regional Municipality of Halton (Proponent)
J.R. Tidball	for the Ministry of the Environment
T. Vigod J.F. Castrilli	for the West Burlington Citizens Group
D. Estrin, F.E. Leitch and H. Dahme	for the Corporation of the Town of Milton
S.R. Garrod and A. Nurvo	for the Milton Area Citizens Coalition and several affected Milton area landowners
R.B. Tuer, Q.C. E.A. Cronk and F. Perrier	for National Sewer Pipe Limited
L.F. Longo	for Azova Investments Limited
M.J. McQuaid, Q.C. and C.J. Tzekas	for the City of Burlington
C. Mansfield	for the Ministry of Natural Resources
P. Renaud	for Cumis Limited



Nethercut & Co. Ltd.

Toronto, Ontario

APPEARANCES (Cont'd):

1	C. Stevenson	for Framgard Holdings,
2	P. Hancock	Fosseri Investments
3		Limited, Seriphos
4		Investments Limited and
5		Topic Investments
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

J.H. Olah

for the Halton Region
Conservation Authority

* * * * *

Nethercut & Co. Ltd.
Official Reporters
185 Richmond St. W.
Toronto, Ontario
M5V 1V3

Per: P. D. McQueen



1 --- Upon commencing at 10:30 a.m.

2 DR. KINGHAM: Thank you. Please be
3 seated. Good morning, Ms Vigod.

4 MS VIGOD: Good morning.

5 ALFRED A. SOBANSKI, (resumed):

6 JAMES BEECHINOR, (resumed):

7 CROSS-EXAMINATION BY MS VIGOD, (continued):

8 Q. Mr. Sobanski, Mr. Beechinor, we
9 left off where we were beginning to discuss your
10 interpretation of the stratigraphic units.

11 MR. BEECHINOR: A. You gave me some
12 undertakings last night.

13 Q. I would like to deal with those
14 after lunch. I just want to finish this train of
15 questions.

16 First of all, I would like to ask you who
17 logged the cores in the appendix. Was that you,
18 Mr. Beechinor or Mr. Sobanski, or someone else?

19 A. No, we had geologists in the field.
20 Geologists and I believe a geotechnical engineer in the
21 field to do the actual logging.

22 Q. They prepared the logs found in
23 your appendices?

24 A. That's right.

25 Q. Did you supervise or did you examine



1 the cores and the logs together?

2 A. I believe both myself and
3 Mr. Sobanski examined the cores in the lab afterwards
4 to ascertain what the log -- to get an understanding of
5 what the geology of the site was. So we looked at the
6 cores, yes.

7 Q. Now, we were discussing HC-4.
8 If we could turn to your Figure 2 on page 25 or page 35,
9 I am sorry, and I am also ...

10 MS TANNER: Page 35 of?

11 MS VIGOD: H-40 and H-40A will be where
12 I am spending at least this morning.

13 Q. I would like you to also turn to
14 Appendix 2, the borehole log for HC-4. Mr. Beechinor,
15 I am looking at your core log for HC-4.

16 MR. BEECHINOR: A. Yes.

17 Q. If we start from the top of
18 elevation 131.3 to I believe 120 on your Figure 2, we
19 have your moderately-fractured unit, if we can call it
20 that.

21 A. Yes, on Figure 2 it shows at an
22 elevation of 120 the fractured shale and weathered shale,
23 the mildly-fractured and weathered shale.

24 Q. In your appendix if we look at
25 the fracture frequency column, that is column 14, we can



1 determine there are three types; very close, close and
2 moderately close; is that correct?

3 A. Yes.

4 Q. My understanding is that the very
5 close means more fractures?

6 A. Very close means ...

7 Q. ... more fractures?

8 A. Yes.

9 Q. Now, last week we gave you some
10 numbers estimating the percentage of each type of
11 fracture in your units as defined on Figure 2 for both
12 HC-4 and HC-6. I have a typed version of that.

13 A. I am looking for my copy of that
14 at the moment.

15 Q. Mr. Beechinor, this is a typed
16 version of what I gave you last week.

17 A. I had made some notes on a copy
18 and I am just looking for that.

19 Q. Perhaps, Mr. Beechinor, we could
20 use ...

21 A. I have some notes to confirm the
22 numbers and they were left here on the table last night.
23 I thought it was going to come up today and they have now
24 disappeared.

25 DR. KINGHAM: Are the notes essential?



1 MR. BEECHINOR: I think they are.

2 MR. LEDERER: This is obviously one of
3 the difficulties that occurred. Could you ask another
4 question and go on and if we find the document ...

5 MR. BEECHINOR: That would be fine with
6 me.

7 DR. KINGHAM: The problem is we weren't
8 planning a break for this morning.

9 MS VIGOD: I had given this to
10 Mr. Beechinor in the hope that we would speed things up,
11 not slow things down. My problem is this follows
12 directly into a line of questioning that goes on for a
13 bit.

14 MR. BEECHINOR: I think I know what I
15 meant to say with it and I will just have to bring the
16 numbers into testimony at some later moment. Why don't
17 we proceed?

18 MS VIGOD: Q. Mr. Beechinor, then, first
19 of all can you confirm that on this sheet of paper what
20 we see is borehole log HC-4 and your geological unit 2
21 and unit 4, the elevations taken from your Figure 2 and
22 the fracture frequency percentages taken from your
23 borehole logs for that length of thickness?

24 MR. BEECHINOR: A. That is right.

25 MS VIGOD: Mr. Chairman, can we make that



1 an exhibit?

2 DR. KINGHAM: WB-225.

3 --- EXHIBIT NO. WB-225: Sheet showing estimated
4 percentages of fracture in
units on Figure 2

5 MS VIGOD: Q. Would you be able to
6 confirm looking at unit 2 in HC-4 we see a percentage
7 of moderately close, 13 per cent; close, 65 per cent
8 and very close, 22 per cent?

9 MR. BEECHINOR: A. Yes. I could confirm
10 it if I could find my data sheet. I can't confirm it
11 actually until I have that.

12 Q. Let us just take these figures
13 for now and if there is a problem with the percentages...

14 DR. KINGHAM: Could you tell us, Ms Vigod,
15 where these figures came from?

16 MS VIGOD: What they came from was a
17 calculation of the percentage of close, very close and
18 moderately close fractures which was determined by these black
19 shadings in column 14 as a percentage of the thickness
20 of the unit as portrayed on Figure 2. If you have the
21 total thickness, 11.3 metres then the moderately close,
22 you can calculate by adding up those black lines.
23 Perhaps -- the explanatory sheet is actually at the
24 front of the core logs in Exhibit 40A.

25 Q. If we go down to unit 4, can you



1 at least, subject to your further confirmation;
2 moderately close, 28 per cent; close, 51 per cent and
3 very close, 20 per cent?

4 MR. BEECHINOR: A. Again, I believe
5 those numbers are correct if they are the same numbers
6 that I reviewed before.

7 Q. What I would like you to do then
8 is compare these two units. If we look at the close
9 and very close in unit 2 we see 87 per cent and in unit
10 4, 71 per cent.

11 A. You are adding close and very
12 close? All right, very well.

13 Q. Would this not suggest in fact
14 more fracturing in the moderately-fractured unit than
15 in the higher-fractured unit or at best a similar degree
16 of fracturing if you want to call it that?

17 A. I wouldn't dispute, Ms Vigod, that
18 the fracture frequency in what you describe as unit 2
19 and unit 4 are very much the same. In fact I think I
20 indicated that when we had the core hole -- the core
21 logs or the cores in front of the Board. Even visually
22 I think you can get an impression that the fracturing
23 and the number of discontinuities in the highly-
24 fractured shale unit and the mildly-fractured and
25 weathered shale unit are similar.



1 Q. And we can, just to put this --
2 this is based on your data in the borehole logs and we
3 come to that conclusion?

4 A. Yes, and I would just like to
5 point out one thing and this is what was on my data
6 sheet, you have left out unit 3 in this categorization.
7 For instance, you note here for unit 2 the moderately-
8 close percentage is 13 per cent. That is for the
9 mildly-fractured and weathered shale. For unit 4, the
10 moderately-close is 28 per cent. If we had also looked
11 at the unit 3 in this numbering scheme, the weakly-
12 fractured shale, you would have found that the moderately-
13 close percentages would be up in the 50 per cent range
14 and the very-close percentages would fall down into the
15 less than ten per cent range.

16 Q. But, Mr. Beechinor ...

17 A. My only point is there is a
18 distinction in the frequency of discontinuity and
19 fractures between the weakly-fractured shale units and
20 the two fractured and discontinuity units above and
21 below it.

22 Q. I appreciate that but for the
23 purposes of my question and understanding where you
24 have delineated this, as you call it, discrete zones,
25 I wanted this understanding of these two units. I would



1 like then to turn to your Exhibit H-206.

2 MR. HODGSON: Did this exhibit have a
3 number?

4 DR. KINGHAM: It has a number, WB-225.

5 MS VIGOD: Q. Do you have H-206?

6 MR. BEECHINOR: A. Which one is that?

7 Q. That is your summary of inter-
8 pretation used to delineate the four zones.

9 A. Yes.

10 Q. You confirm from the cover of
11 this exhibit that this is the information that you relied
12 on to delineate the four bedrock zones shown on Figure 2?

13 A. What this information -- I have
14 tried to demonstrate over the course of the summer, we
15 prepared a subsequent borehole log over the course of
16 the summer to try to demonstrate how we were making the
17 picks on Figure 2. So, this is something that came later
18 after, for instance, the work we had done with Exhibit
19 H-220.

20 Q. You are still saying that --
21 certainly we have looked at the borehole logs and not
22 seen any difference in the fractures and you are saying
23 let us look at this other RQD data?

24 A. What I would like to say is for
25 getting into the RQD's the rock quality designation,



1 there is an indicator of how we made the interpretation
2 shown on Figure 2.

3 Q. My understanding is you said that
4 RQD stands for rock quality designation?

5 A. Yes.

6 Q. My understanding is that the RQD
7 number is the sum of the pieces of rock that are longer
8 than four inches divided by the total length of the
9 rock. Is that fair?

10 A. I think that would be fair. It
11 is a percentage of sound or competent pieces of rock in
12 the core run.

13 Q. Am I correct that the higher the
14 number, the better the rock is; in other words, it's
15 less broken?

16 A. That's right.

17 Q. As I understand this then the more
18 fractured rock should be the lowest RQD?

19 A. Generally, that is correct, yes.

20 Q. First of all, I just have one
21 question with the use of the RQD. If we had a piece
22 of rock with fractures every four and a quarter inches
23 then the RQD would be 100; is that correct, just a
24 general understanding of the concept?

25 A. That could be.



1 Q. If we had a piece of rock where
2 the fractures were every three and a half inches, the
3 RQD would be zero because none of the pieces are greater
4 than four inches; is that correct?

5 A. I believe that would be the case,
6 yes.

7 Q. However, in actual fact those
8 rocks would be very similar, would they not, in terms
9 of fractures?

10 A. If you took those two extreme
11 conditions it might be but I think, concerning a random
12 distribution of this information, it would be unlikely
13 that situation would arise I think.

14 Q. I am just trying to get an under-
15 standing of the concept and applying that formula you
16 would agree with me?

17 A. That is why RQD is simply another
18 indicator the same as the visual description of the rock
19 was.

20 Q. One more example, if a rock of a
21 hundred inches had a piece of 96 inches and a four-inch
22 piece missing, the RQD would be very high, it would be
23 96 per cent; correct?

24 A. Run that past me again.

25 Q. A 100-inch piece of rock where



1 there was one piece of 96 inches and then a four-inch
2 piece that was missing from that rock core and my
3 question is that the RQD would be 96 per cent indicating
4 a less broken rock, yet that four-inch gap could be a
5 conduit for groundwater?

6 A. I don't think you can get to that
7 detail with the RQD's. It just isn't calibrated to
8 define such small units such as that. A governing
9 factor also is the length that the RQD or the length
10 the RQD was calculated over. For instance, an RQD could
11 have been calculated for, say, five feet, the first, top
12 two and a half feet of that five feet were relatively
13 fractured and had a very low RQD when the bottom two and
14 a half feet were relatively competent, had a 90 or 98
15 per cent RQD. The mean of the RQD over that run would
16 be 50 per cent. So, you have to be also careful of
17 what we are comparing here, what run we are comparing,
18 what run length we are comparing.

19 Q. You would agree that certainly RQD
20 by itself may not be a good factor in evaluating the
21 degree of fracture?

22 A. I would agree with that. It is
23 again an indicator, that is right.

24 Q. I would like to look then at your
25 -- in this Exhibit 206 if we turn over to the second page



1 where we see the RQD marked on alongside the boreholes.

2 A. That's right.

3 Q.. If we look at HC-4, I would like to
4 look first of all at your highly-fractured unit at the
5 bottom of that borehole and we see RQD's of 72, 87 and
6 a little part of 57; is that correct?

7 A. That's right. The 57, again that
8 is the difficulty with calculating the core run with
9 respect to a specific depth. If you refer to the
10 Figure 2 I wrote, which is in that package of information
11 in Figure 2, I wrote the RQD's on Figure 2 for for
12 instance HC-4 and I think what our calculations came up
13 with is for a moderately-fractured and weathered shale.
14 If you look at Figure 2, Mr. Chairman, of that package
15 of information, we had three measurements, four measure-
16 ments of RQD; 69, 76, 59 and 49. Our RQD calculation in the
17 weakly-fractured massive shale unit for HC-4 was about 100
18 per cent. Then the RQD's started dropping off into
19 the highly-fractured shale unit from 57 to 87 to 72. So,
20 there is a change in RQD's between the moderately-
21 fractured and weathered shale from something in the order
22 of the 50 to 60 range or 70 range into the weakly-
23 fractured shale unit which had had up to 100 per cent
24 RQD indicating very competent rock. Then it falls off
25 to 57 to 87 to 72. There is a difference in RQD as we



1 went down that borehole.

2 Q. Mr. Beechinor, my questions are,
3 if we look at the highly-fractured unit, you see the
4 87 and 72 and if you want to call it part of 57. We
5 see RQD's of 49, 59, 76 and 69 in your moderately-
6 fractured unit. Isn't this the reverse really of what
7 you would expect to see? We would expect to see lower
8 RQD's in the higher unit and instead we see an 87 per
9 cent in that unit which is higher than any of the
10 percentages in your unit, moderately-fractured unit?

11 A. Yes, I know what you are saying
12 but keep in mind again we are looking at relative
13 differences here. Nothing is black and white in this
14 bedrock environment. For the weakly-fractured massive
15 shale unit we had an RQD of virtually 100 per cent.
16 We got full recovery, we weren't seeing any fractures
17 anywhere over that length. Then we move into some-
18 thing called the highly-fractured shale unit, we get
19 into RQD's of 57. Granted, there is also an RQD unit
20 in there of 87. I believe all along in my testimony
21 I have indicated that even in the highly-fractured
22 shale unit there are elements of the weakly-fractured
23 unit where we do get very competent rock. I think that
24 was illustrated by the borehole or the core hole that
25 was brought before the Board which showed that what we



1 had described as the highly-fractured shale unit at that
2 particular location was relatively competent.

3 Q. Mr. Beechinor, let us get back to
4 somebody who is examining this report and someone trying
5 to understand where you developed this stratigraphy. I
6 would like to summarize where we are at this point. On
7 the basis of your borehole logs on HC-4 and HC-6 there
8 is no ascertainable difference or in fact there appear
9 to be more fractures in your moderate unit than your
10 highly-fractured unit and then we look at your RQD's
11 which are again, as you call them, an indicator. We see
12 again that the highest RQD number is in a zone that you
13 would expect to be the opposite in that the moderate
14 and highly-fractured shale units are again not delineated?

15 A. Again you are missing one point
16 when you describe the moderately-fractured unit on the
17 top on HC-4. If you recall I think we started into
18 this discussion yesterday. For the first 20 feet at
19 HC-4 we augered that so we couldn't get an RQD for that
20 particular unit. That is a fractured discontinuity
21 that would indicate that that mildly-fractured and
22 weathered shale unit is distinctive than the highly-
23 fractured shale unit.

24 Q. Mr. Beechinor, how can we and how
25 can the Board reach that conclusion when there is no



1 detailed fracture analysis. I don't know whether those
2 numbers further up that piece -- you say you can auger
3 it up, obviously it's fractured, it may again show it is
4 more fractured than the highly-fractured unit. On what
5 basis can I analyze that particular piece of rock?

6 A. I think you would have to go to
7 the borehole log. If you go to the appendix, HC-4-85
8 you will note the description of the portion we augered
9 is there. That is the field description given by the
10 geologist. It says red shale with occasional mottled
11 or bands of green shale, mildly weathered, vertically fractured
12 to six metres. Horizontal partings 50 to a hundred metres
13 apart. There is an example for HC-6, we actually brought
14 in in a bag an example of the augered portion of the
15 weathered shale. It is a very broken up mass.

16 Q. I understand that and it seems we've
17 had a lot of discussion about these distinct zones. It
18 would seem, I agree with you, it appears fractured and
19 again how can we distinguish between that unit and your
20 highly-fractured shale?

21 A. I am not sure what the question is.

22 Q. How can we distinguish then between
23 the moderately-fractured and the highly-fractured shale?

24 A. I don't think it is all that
25 important that we do in the first place. The rationale



1 or the interpretation indicates to us that we have a
2 fractured and weathered unit above a weakly-fractured
3 weathered unit which in turn is above another fractured
4 unit. It is that characterization at this site that gives
5 us the groundwater behaviour that we see.

6 Q. Mr. Beechinor, I am going to have
7 further questions on that, on the weakly-fractured
8 unit. Right now I am trying to focus on the strati-
9 graphy. Let me move on then.

10 I want to finish up the discussion of
11 borehole HC-4. First of all, a number of permeability
12 tests were done in this borehole. If we turn to
13 Appendix 11 in H-40A and again we can look at the first
14 page of that. I have tabbed my report, that is why I
15 get there so fast.

16 DR. KINGHAM: Let this be a lesson for
17 all of us in the future that tabbed exhibits add to the
18 efficiency.

19 MS VIGOD: Q. If you look at HC-4, I
20 would first of all like to focus -- there were a number
21 of packer rising head tests done. Can you confirm that
22 the rising head tests done for HC-4, I guess it is OW-2
23 and OW-3 were done in the moderately-fractured zone?

24 MR. BEECHINOR: A. I would have to
25 compare this to -- hold on.



1 MR. SOBANSKI: A. Mr. Beechinor is looking
2 at H-219.

3 MR. BEECHINOR: A. Two is what we
4 described from the hydrostratigraphic point of view in
5 unit 3 and piezometer 3 at that point, at that location
6 is what we described as hydrostratigraphic unit 2.

7 Q. So unit -- let me just look at
8 HC-4-3 which is in unit 2, OW-3. That has a permeability
9 result of 2.6×10^{-5} ; is that right?

10 A. Piezometer 3, 2.6×10^{-5} , that's
11 right.

12 Q. That is in your moderately-
13 fractured unit, unit 2?

14 A. That's right.

15 Q. Can you also confirm a packer test
16 done in the zone and that was done at elevation 119.1 to
17 122.2 and 125.8 to 128.3?

18 A. Right. We had done another and
19 I indicated in testimony we had run another packer test
20 too at that point between the two.

21 Q. We see again results there -- we
22 have 1.6×10^{-5} and I believe your corrected result of
23 1.2×10^{-3} ?

24 A. That's right.

25 Q. No pumping tests were done in that



1 zone; is that correct, on this well?

2 A. Well, we had conducted pumping
3 test No. 2 which was a well installed adjacent to HC-4.
4 We monitored the effect of that pumping test in HC-3,
5 piezometer No. 2 at an elevation of about 125.

6 Q. We are talking about HC-4.

7 A. Oh, very well, I am sorry. No,
8 we didn't. It was the pumping test beside HC-3.

9 Q. That is what I thought. Now,
10 following down in Appendix 11 we note that there was a
11 rising head test done at OW -- HC-4(OW)-1. Can you
12 confirm that that is in the unit, your unit 4, the
13 highly-fractured shale unit?

14 A. Well, it may well straddle the
15 contact between the two.

16 Q. There the results were 5.6×10^{-6} ?

17 A. Yes.

18 Q. Again, just to sum up where we are,
19 the permeability results that we are seeing are from
20 the unit 4 to the unit 2 are either similar or in fact
21 now have unit 2 or a moderately-fractured result of 10^{-3}
22 which is higher than your result in unit 4; is that
23 correct?

24 A. Unit 4, well, we conducted, that
25 is why we relied on the packer tests to delineate where



1 the hydrostratigraphic unit began at the top, at the
2 contact in between unit -- sorry -- we used the packer
3 test information to delineate the contact between the
4 hydrostratigraphic units 2 and 3 because it is a better
5 test than the Hvorslev test or the rising head test.
6 We didn't do a packer test in unit 4 in that location.
7 We only had conducted the rising head test at that
8 particular location.

9 Q. Can we ask you just one more time
10 where that packer test that you got the result of $1.2 \times$
11 10^{-7} ...

12 A. I think I made a note here where
13 the range of the packer tests are. The upper one where
14 we got the 1.2×10^{-3} is the first packer test we
15 conducted between elevation 128.3 to 125.2.

16 Q. Mr. Beechinor, perhaps I can help
17 you out here. If you look at your Exhibit H-220 ...

18 A. H-220, yes.

19 Q. ... I believe we actually did have
20 some discussion on this. You will see 10^{-3} written in
21 at the left-hand margin.

22 A. That 10^{-3} should be where the 10^{-7}
23 is.

24 Q. All right, and that is still
25 within your unit 2; is that correct?



1 A. That is in unit 2, that is correct.

2 Q. So here we have an order of
3 permeability that is two orders of magnitude greater
4 than your stated 10^{-5} for that unit and then we have a
5 packer test done that showed that the highly-fractured
6 shale has permeability of 10^{-6} ?

7 A. No, we haven't conducted a packer
8 test on the highly-fractured shale unit, hydrostratigraphic
9 unit 4. I have mentioned before that we relied on the
10 pumping test, PW-1 to characterize the hydraulic conduc-
11 tivity of the highly-fractured shale unit.

12 Q. Let me just see where we are. We
13 are trying to get an understanding of first of all your
14 stratigraphic units and how you developed your hydro-
15 stratigraphic units. Looking at all the information we
16 have on HC-4 which is a fair bit of information I put
17 to you, Mr. Beechinor. We see first of all that the
18 fracture frequencies show no delineation or in fact,
19 if anything, the moderate unit being more fractured
20 than the highly?

21 A. I wouldn't agree with that at all.
22 Even looking at the RQD's we see a unit where we got the
23 hundred per cent RQD it falls in our hydrostratigraphic
24 unit 3 indicating a low-fracture frequency. You didn't
25 bring that up in the hand-out you presented.



1 Q. We're not talking about that right
2 now. We are trying to get an understanding of the
3 moderate unit and the highly-fractured unit and where
4 this delineation came in.

5 A. You can't just isolate one thing
6 from another. This is a comprehensive interpretation
7 here.

8 Q. We will be getting into that unit
9 but your testimony is that we have delineated layered
10 units. I am trying to understand where you got that
11 information and you also, my understanding is, that when
12 you get into the model that your permeability in the
13 moderate unit, you considered to be 10^{-5} and then the
14 highly-fractured unit either 10^{-2} or 10^{-3} . Would you
15 agree that on the information contained in HC-4 that
16 in fact there is no basis for that two-order magnitude
17 difference and in fact the tests that we have just
18 discussed, the 10^{-3} packer test indicates that in fact
19 your 10^{-5} unit may be more fractured?

20 A. If you are concerned about the
21 fact that at this particular location in the hydro-
22 stratigraphic unit 2 we did with the packer test define
23 a zone where the hydraulic conductivity is 1.2×10^{-3} ,
24 I would agree with you. What we interpreted that to be
25 though is an isolated zone of fractures in



1 hydrostratigraphic unit 2. It is not something that
2 you find throughout hydrostratigraphic unit 2.

3 Q. How do you know that, Mr. Beechinor,
4 on what basis do you say that?

5 A. Well, we have to go back to the
6 field program. I was going over in my mind again, this
7 is almost two years ago I think we were doing this
8 fieldwork. In the processes that we carried out in
9 the field our staff was instructed and it is my under-
10 standing that it was carried out, is that what we would
11 do, Mr. Chairman, is drill or core a 30-metre hole, take
12 the core out, put them in the core boxes. Now we have
13 a 30-metre open hole. Those cores were originally
14 laid out in the field and from that we made decisions,
15 let us do a packer test on this unit, this looks like
16 a real fractured-up unit, a real mud seam unit. Let
17 us do a test on it. We did that on most of the boreholes,
18 most of the core holes on-site. So, what we were
19 attempting to do, and all of our energy was in the
20 instrumentation of this site was to instrument what we
21 thought were the most permeable or fractured units. That
22 was the philosophy of our installation. The depths
23 where we were to instrument wasn't prefabricated such as a
24 WAT well where the ports, where they are going to be
25 measuring permeability are designed in the lab and they



1 are put in prefab. We were making field decisions.
2 We have the core before us to let us know where we should
3 be testing. That is where we did packer tests. Those
4 are where we installed our piezometers to do the Hvorslev
5 tests, the rising head tests. As a result of the
6 packer test, the next stage as a result of the packer
7 test we wanted to go to even a higher level of under-
8 standing hydraulic conductivity and lateral extent of
9 the fractured units. So on those units that we
10 conducted the packer tests, we then at HC-3, where we
11 also conducted a packer test, we did a pumping test.
12 We also conducted another pumping test at PW-1. I
13 think the rationale for the third pumping tests is that
14 we noticed in Ms Hewetson's work that she had found a
15 zone of high permeability, I think 10^{-4} at WAT-5 at
16 depth. So we decided let us do a pumping test to see
17 if there is a major zone of fracture at that location
18 as well.

19 Q. Mr. Beechinor, I will be asking
20 you further questions about the pumping test and relating
21 that as well. Can you answer me, isn't it standard
22 practice to do a packer test in the entire hole so,
23 for example in HC-4 we see there was no packer test
24 done below about 119 elevation?

25 A. As I mentioned just now we did --



1 for instance, number one, we did a full packer test at
2 HC-6 and that was actually a recommendation of Conestoga-
3 Rovers and we felt that that was a good idea and we did
4 so. At HC -- the other two packer tests we did at HC-4
5 and HC-3 as I pointed out our procedure was laying out
6 the core in the field and deciding where on the major
7 discontinuities and we did the packer tests on those.
8 There was not much point in doing a packer test on
9 pieces of competent rock where we could not measure any
10 water moving into the formation.

11 Q. Mr. Beechinor, then my question
12 is, why didn't you do a packer test in your highly-
13 fractured unit at unit 4, at HC-4?

14 A. All I can say, and I am just
15 trying to recall what decision we made in that situation.
16 I think at that time, for instance, we had made this
17 layered or horizontal hydrostratigraphic interpretation.
18 This was unknown at that time. So, I would suspect that
19 what we found at HC-4 when we laid the core out and when
20 we did the drilling, that the most permeable units or
21 the water-bearing units that we saw, the major ones, we
22 did the packer test on and maybe it may have been at
23 HC-4, even at the deep zone we weren't seeing a comparable
24 fracture unit as we saw at the top of HC-4, albeit the
25 discontinuities to show there is something there.



1 Q. I was going to say if we get back
2 to the discontinuities we see similar results.

3 A. Standing here right now I wish we
4 had done one at that location.

5 Q. We will move on, Mr. Beechinor.
6 Just one last question on this, Mr. Beechinor. If you
7 did packer tests, as you say, in the most permeable
8 units, why did you get your 1.6×10^{-5} and I believe
9 you have testified zero water loss in the next unit and
10 then not go on to look either for other fractured units
11 or do the whole hole?

12 A. You can't do the hole. You have
13 to consider what is practical here as well. You can't
14 -- if we were doing packer tests on every core hole we
15 put on this site the drilling program would have taken
16 a year.

17 Q. Are you saying, do you agree or
18 don't agree that normal practice is to pack off the
19 entire hole?

20 A. What do you mean? What normal
21 practice are we referring to here?

22 Q. The normal practice is to do ten-
23 foot sections of the hole and to pack that off and do
24 your test?

25 A. We did that. At HC-6 we packed



1 off various units on the way down the borehole and did
2 the packer tests on it. Now, we didn't do that on
3 every location. We didn't think it was necessary to do
4 that in every location. It would be totally impractical
5 to do so.

6 Q. Mr. Beechinor, that leads into the
7 next borehole I would like to look at, HC-6. Again,
8 first of all I would like to start with the stratigraphy
9 and if you were looking at Figure 2 again ...

10 A. I'm sorry, where are we now?

11 Q. I'm going to do a similar exercise
12 just with HC-6.

13 A. Yes.

14 Q. First of all if we look at Figure
15 2 on page 35 ...

16 A. Yes?

17 Q. ... we can see that again HC-6
18 does seem to intersect most of the units that we are
19 concerned about so it is a good borehole to look at.
20 We have portions of the moderate unit, the massive
21 unit and the highly fractured unit; correct?

22

23 A. That's right.

24 Q. Again, we provided, if we look at
25 WB-225 which we just filed this morning you will see we



1 have done a similar exercise of calculating the moderately-
2 close, very-close fractures for about the moderate and
3 highly-fractured unit in that borehole?

4 A. And you left out, though, the
5 weakly-fractured unit.

6 Q. That's fine. Now, it seems that
7 again, if we look at unit 4 we see distribution of
8 fractures in the unit; moderately close, zero; close,
9 94 per cent and very close, six per cent. Would you
10 agree again that unit 2 seems to have encountered the
11 greater length of very-close factors than did unit 4 if
12 we compare 30 per cent to six per cent?

13 A. I guess I was looking at Figure 2
14 and I wasn't looking at your data sheet.

15 Q. If we look at the data sheet,
16 WB-225 ...

17 A. WB-225.

18 Q. ... I'm looking at borehole HC-6.

19 A. Again I have the same problem that
20 until I find my notes that I did, I check the calcula-
21 tions on it, I can't confirm the number. I don't think
22 -- just let me look at it. We had moderate for unit 2;
23 we have moderately close, 27 per cent; close, 43 per
24 cent; 30 per cent, very close. So you are saying that
25 using that very close and close category that there is



1 a fairly high degree of fracturing there.

2 Q. And similarly ...

3 A. Again I would point out if you
4 had inputted unit 2 you would have found -- the
5 weakly-fractured shale unit, you would have found the
6 percentages for moderately close would have been 50 per
7 cent.

8 Q. I'm not disputing this point.

9 A. I just wanted to make sure.

10 Q. I understand unit 2 and unit 4
11 delineation at this point. Again in the borehole logs,
12 I believe your notes in the log for HC-6 also have a de-
13 scription of the fractured zone if we just look in Appendix
14 2, your borehole core log HC-6. We can see -- I am
15 looking at sheet 1 of 6.

16 A. Yes.

17 Q. We see a note, about the sixth
18 note down where it says fractures zones at 7.4 to 7.44
19 metres. Do you see that, the notes in the core log?

20 A. Notes in the core log.

21 Q. Under general description?

22 A. General description, okay. There
23 are various -- the summary of the various discontinuities
24 that we encountered in this core hole.

25 Q. We see that note saying fracture



1 zones, do you see that, at: 7.5?

2 A. Yes, yes.

3 Q. Seven point four to 7.44 metres,
4 8.2 to 8.23 metres, 8.6 to 8.7 metres and again those
5 would be within your moderate unit. Is that correct?

6 A. I don't know at this moment. I
7 would have to compare all of those depths with the
8 figure.

9 Q. Again, Mr. Beechinor, I guess part
10 of the problem we are having it is very difficult to
11 correlate these numbers. If we go by your Figure 2
12 delineations, I am just going to at this point ask you
13 to assume that the first three fractures noted are in
14 your moderate unit and the last two fractures noted are
15 in the depth ranges in your highly-fractured unit. So
16 again we are getting either similar, or if you like,
17 more fractures in the moderate unit; is that correct?

18 A. Again, but you are just looking at
19 one discontinuity there, the fracture zones. You have
20 left out dipping joints, vertical joints, bedding
21 spacing, the weathered portion of the shale, clay mud
22 seams, gypsum-coated fracture, possible slickensides.

23 Q. Mr. Beechinor, let us just follow
24 this through and look at your RQD results, H-206. Again
25 looking at your Figure 2 there and, the third page in, HC-6. Again



1 you confirm that we see the moderately-fractured unit
2 has an RQD of 63 and that most, the highly-fractured
3 unit has an RQD of 62.

4 A. That's right. The unit between
5 those, the weakly-fractured shale unit, has an RQD of
6 97 and 98.

103 7 Q. Mr. Beechinor, if we were inter-
8 preting your hydrostratigraphy unit 4 you would see
9 that you are getting into an area where you have 93 per
10 cent RQD which would indicate less fractures?

11 A. Yes, I would agree and as I
12 mentioned before in the highly-fractured shale unit we
13 can get very competent units, components to it, that is
14 right.

15 Q. Now, Mr. Beechinor, just to follow
16 through this before I turn to a new topic, I would like
17 to look just at Appendix 11, the permeability results in
18 HC-6.

19 DR. KINGHAM: I'm sorry, where did you
20 turn to?

21 MS VIGOD: Appendix 11 in H-40A.

22 Q. The results of your permeability
23 tests in HC-6-85, could we confirm that your HC-6(OW)-4
24 rising head test, 5.8×10^{-6} and your packer test at 121.7
25 to 118.3 with the result of 6×10^{-5} are in fact in



1 your unit 2 zone or your moderate fractured zone?

2 A. I will have to work that out. I
3 can't do that in my head.

4 Q. It might help if you looked at
5 your 220 as well. Mr. Sobanski, it may help -- we're
6 just using your scale under H-220. We get one, one is
7 at the interface of 2 and 3.

8 A. The packer test at the interface
9 of 2 and 3.

10 Q. The other one in unit 2.

11 A. The packer test that is indicated
12 here in the appendix between elevation 121.7 and 118.3
13 which said 6×10^{-5} is in the hydrostratigraphic unit 2.

14 Q. That's right, the moderately-
15 fractured unit, that's what we're trying to get. Do you
16 want to just confirm the other one, the rising head
17 test?

18 A. Okay. Now we are going into the
19 site, going at lower elevations.

20 Q. It is 119.6 to 120.5. Again we
21 would think that would be in -- it appears to be right
22 at unit 2?

23 A. Right at the contact there.

24 Q. In unit 2 or unit 3. Actually
25 that is interesting. That permeability of course is



1 greater than your 10^{-7} but it is close, it is around, it
2 is 10^{-6} at that interface.

3 A. We indicate the geologic materials
4 are fractured weathered shale. If you rounded it, it
5 would be closer to 10^{-5} .

6 Q. So basically similar results in
7 that unit there?

8 A. As compared to what?

9 Q. Well ...

10 A. There is an order of magnitude
11 difference but ...

12 Q. I would like to just then look at
13 your results in unit 4 for that well. If we look at
14 the packer test at HC-6(OW)-1 at an elevation of 106.1
15 to 109.2 we see the packer test 1.5×10^{-5} ?

16 A. That's right.

17 Q. And a rising head test in OW-3,
18 110.1 to 111.0 is 2×10^{-6} ?

19 A. Yes.

20 Q. Now, again, Mr. Beechinor, these
21 are the same order of magnitude as the tests in your
22 unit 2 zone, aren't they?

23 A. I would concur with you on the
24 point that, and I have mentioned this when we had the
25 cores out here for HC-6 as well. What we are seeing



1 for the highly-fractured shale unit at this location
2 are hydraulic conductivities that are lower than one
3 would expect for the highly-fractured shale unit. It
4 may be that the highly-fractured shale unit is only
5 indicated at this particular location by the packer test
6 conducted between elevation of 109.2 and 106.1 where we
7 had the hydraulic conductivity 1.5×10^{-5} but what we
8 have done in this hydrostratigraphic interpretation is
9 used all the information. We were finding the highly-
10 fractured shale unit at this elevation and many of the
11 other core holes. That is how we made that interpreta-
12 tion. This might be similar to a Site D situation.
13 If a particular granular unit isn't there I don't think
14 we are going to worry about it. If the highly-fractured
15 shale unit isn't well demonstrated at this particular
16 location I don't think I am too concerned about that.

17 Q. Mr. Beechinor, we are trying to
18 get an understanding of where these zones are. First
19 of all, no pumping test was done in HC-6; is that
20 correct also?

21 A. That is correct.

22 Q. Is that how you, based on your
23 packer test of 1.5×10^{-5} , is that how you then define
24 that zone?

25 A. No, that is not how we defined the



1 zone of the highly-fractured shale unit. As I have
2 mentioned before in testimony, the highly-fractured
3 shale unit is indicated by the pumping test conducted
4 at PW-1 and the effect at observation wells distant from
5 PW-1. That gave us a horizontal continuity at a fairly
6 consistent elevation. That led us to our interpretation
7 that this site had a continuous unit of highly fractured
8 at depth as well as strong, vertical downward gradients.

9 Q. Mr. Beechinor, what I am having
10 a problem with, first of all on your Figure 2 we only
11 have four boreholes mapped in terms of their fractures.
12 We have been concentrating on HC-4 and HC-6. If we
13 look at your Exhibit H-22 which is your hydrostratigraphic
14 zones we also see an indication of a highly-fractured
15 unit. I guess the question is, how did you determine
16 the highly-fractured unit at HC-6?

17 A. From all the other information
18 that is shown on Exhibit H-220 and from the indication
19 -- well, there are two indications of it I would suggest
20 at HC-6. One is the packer test conducted between the
21 elevations of 109.2 and 106.1 where we did and we note
22 in Appendix 11 a fractured shale zone with a hydraulic
23 conductivity of 1.5×10^{-5} . Now, I think you could make
24 an argument that it probably perhaps isn't as thick as
25 I have delineated it. The reason it was delineated to



1 that degree, I am looking now at Exhibit H-220 and HC-6,
2 this is unit 4, hydrostratigraphic unit, highly-
3 fractured shale unit. You can see that we came across
4 two discontinuities in that core hole at depth. Between
5 those two discontinuities there is a very massive unit
6 and that has the elements of the weakly-fractured shale
7 unit. Because there seemed to be two stringers, if you
8 will, of fractures we lumped that section together as
9 the highly-fractured shale unit even though, and to be
10 fair to Ms Vigod, the packer test does indicate that
11 even in that zone we delineated, the highly-fractured
12 shale unit, there is very competent rock of low per-
13 meability. Our delineation of the highly-fractured
14 shale unit really comes from the pumping test we did at
15 at PW-1. Where you see the pink is where we were
16 getting effects in observation wells from that. So, we
17 had made a linear interpretation of where the highly-
18 fractured shale unit was. So, that is the rationale
19 for picking that.

20 Q. Mr. Beechinor, we will be getting
21 to these pumping tests I assure you. Let me just
22 follow the process through after this, after your
23 determination of the stratigraphy you then incorporated
24 the results of your packer tests, Hvorslev pumping tests
25 and tritium information. That is what we are finding



1 on Exhibit 220; isn't that right?

2 A. Yes, this was again raw data, our
3 worksheet that we drew our interpretation from, yes.

4 Q. There are no drawings in your
5 report similar to the ones we found in the Site D report
6 delineating these units?

7 A. We made a conceptualization just
8 as we did with Site D of the hydrostratigraphic units.

9 Q. That is a conceptualization you
10 used in the model and we will be discussing that in a
11 bit but there are no drawings or delineations of the
12 zones similar to the drawings found at the back of the
13 Site D report?

14 A. No, but we are talking about a
15 bedrock environment here, the lithology. There is no
16 difference in the lithology of the bedrock.

17 Q. What I'm getting at is on your
18 conceptualization for instance there is no indication
19 of where those boreholes are in relation to those units.
20 It is very difficult to extrapolate that information on
21 to this figure. I am just at this point discussing the
22 fact that there is no similar type of ...

23 A. Not in the report I would agree
24 with that and I think you requested that I put that
25 information on a section and I did do that.



1 Q. That's what I'm getting to next.

2 A few weeks ago you will remember in anticipation of
3 cross-examination I asked you to provide us with
4 delineation of those units on Drawings 6 and 7. You
5 indicated that you hadn't done that but you would put
6 those delineations on Drawing 6 and mark out the units
7 and add some additional wells; is that fair?

8 A. What I wanted to give you and I
9 didn't have this in front of me at the time, I wanted
10 to give the information that we had used to make our
11 picks of the hydrostratigraphic units.

12 Q. That is what became Exhibit 219?

13 A. That's right.

14 Q. The one concern I had arising out
15 of that is I was surprised when you told Mr. McQuaid
16 that you were then not relying on Exhibit H-219. Given
17 that this drawing was prepared for the purposes ...

18 A. I don't believe I said that. I
19 think what I had said is to the best of my ability and
20 my recollection I put the hydrostratigraphic units that
21 we had picked from Exhibit 220 and put it on this section
22 for you so you would have an understanding of the
23 rationale and generally where the hydrostratigraphic
24 units begin and end. I want to point out one thing
25 too. Particularly in this bedrock environment where



1 there isn't distinct differences in lithology, it becomes
2 interpretive. I will accept that. It becomes inter-
3 pretive because that is what it is, where precisely
4 you draw the lines between these various units. It is
5 not a Site D situation where you can go from the till
6 into the sand and say "Well, there is the line." Here
7 we have to make some judgments.

8 Q. Until this point we really didn't
9 have even your interpretation of where these units were.

10 A. Pardon?

11 Q. Until this point in the hearing
12 we haven't really had your interpretation.

13 A. I haven't tried to hide anything.

14 Q. One question just before I move on
15 is I would like to know what information then was given
16 to the modeller to do the FLONETS model? Did he have
17 a copy of what is now Exhibit 220?

18 A. That is what we generally worked
19 from, Exhibit 220 when we were trying to decide on what
20 thicknesses the unit should be for the contaminant
21 transport model and generally what thicknesses are reason-
22 able in connection with the finite element model.

23 Q. Until Mr. McQuaid asked you to put
24 those unit linear delineations on Exhibit 220 there
25 were no such delineations; correct?



1 A. No. We meet the picks. We made
2 the picks from Exhibit H-220 from a scale that we had
3 developed at that time.

4 Q. But, Mr. Beechinor, when we first
5 saw H-220 we saw a number of, if you like, interlayers
6 of permeable and less permeable zones, these pink and
7 yellow zones?

8 A. Yes.

9 Q. I am trying to understand what
10 information you communicated to your modeller as to
11 where your hydrostratigraphic zones were. In other
12 words, was he given the equivalent of H-219 with the
13 zones marked on a drawing or how did that develop?

14 A. I can go through the process on how
15 it developed. We had put this interpretation together
16 at this time. I guess we are talking now April or May, '86
17 I think I have mentioned once before one of the diffi-
18 culties with the sloping site where we have a significant
19 change in elevation from the north end to the south end.
20 Then the difficulty becomes what is an average condition
21 at this site. The units thicknesses are quite variable
22 on the site and some of them actually pinch out over the
23 course of the site. So what we have done is made this
24 hydrostratigraphic interpretation at this time and did
25 a slice through the centre of the site which was just a



1 bit north of HC-4-85 at an elevation of about 145. This
2 information was projected into that elevation and we
3 came up with 20 metres for hydrostratigraphic unit 2
4 which is the mildly-fractured weathered-at-surface unit.
5 We came up with 15 metres by lumping these various
6 yellow units together which are the massive unfractured
7 units. We came up with a thickness of 15 metres at the
8 centre of the site. Those thicknesses were what we used in
9 Mr. Feenstra's contaminant transport model. I think
10 also I indicated to the modeller, well, ensure at the
11 centre of the site those unit thicknesses are about that
12 in your finite element model. Once the conceptualization
13 in Figure 4 in the text is now then projected right up
14 to the north end of the site. Those units are at the
15 north end of the site. What is the elevation of the
16 north end of the site? Something about 181, 185. So
17 that Figure 4 then shows our projection right up to the
18 north end of the site. I think our weathered zone,
19 mildly-fractured weathered zone at that end is about
20 15 metres and then the weakly-fractured shale unit is
21 about 20 metres at that point.

22 Q. So, Mr. Beechinor, I would like
23 to look at Figure 4 now, page 49 of H-40 and also look
24 at your Exhibit 220. I believe you have already mentioned
25 that the model of course was used for your contaminant transport



1 model so that those thicknesses of the unit that we see
2 on Figure 4 were used to model contaminant transport?

3 A. And for the finite element model
4 to simulate the behaviour of the groundwater flow system.

5 Q. First of all, if we look at unit 2...

6 A. I am missing a report, hold on.
7 Yes, go ahead.

8 Q. I am looking first of all at HC-4
9 on H-220. I believe you had stated in testimony yester-
10 day that unit 2 went from elevation 137 to 125 for a
11 thickness of 12 metres. I don't want to re-invent the
12 wheel on this point. I took down your levels that you
13 gave Mr. McQuaid, 137 to 125.

14 A. I would think that would be about
15 right.

16 Q. Twelve metres. If we look at
17 Figure 4 we see that your unit 2 is given a thickness
18 of 30 metres, approximately 30 metres?

19 A. I don't know where you get that
20 from.

21 Q. This is part of my problem from
22 where HC-4 would be in relation to that.

23 A. I think I have mentioned in
24 testimony before similarly to the conceptualization in
25 Site D you can't put a specific borehole on this drawing.



1 It is intended to just illustrate the hydrostratigraphy
2 that we found on the site. We have a till at the north
3 end of the site, a till at the south end of the site.
4 We have this mildly-fractured weathered shale unit,
5 hydrostratigraphic unit 2. We have the weakly-
6 fractured massive shale unit, unit 3. We have the
7 highly-fractured shale unit, unit 4 beginning somewhere
8 in the centre of the site to the south end of the site
9 and so on.

10 Q. Mr. Beechinor, I believe you
11 testified in answer to a question from Mr. McQuaid that
12 somewhere in the middle of that, the centre of that
13 figure, for purposes of trying to look at what the
14 actual data showed and your conceptual data from 220
15 on your model, would it be fair to say that Figure 4
16 at that point your unit 2 would be 30 metres? In other
17 words, 15 metres would be a little high?

18 A. Fifteen metres for unit 2 is the
19 projection of the information on Exhibit 220 at the
20 north end of the site.

21 Q. My question is though in terms
22 of travel time, if we are looking at contaminant travel
23 time and we have your information on 220 which says the
24 unit is 12 metres. Your model -- I was using the
25 figure of 30 metres. If you want to use 15, that's fine.



1 Wouldn't you agree that the travel time will be shorter
2 with the thinner unit? That is the point.

3 A. I would agree with that. I am
4 telling you how we made our picks of the thicknesses.
5 We did that at the centre of the site, the centre of
6 the site, this information projected to the centre of
7 the site at elevation 145 gave us a thickness for unit
8 2 of 20 metres and a thickness for unit 3, the weakly-
9 fractured shale unit, of 15 metres.

10 MR. SOBANSKI: A. It wouldn't be hugely
11 different because you are dealing with the upper unit,
12 unit 2. The velocity through unit 2 is relatively fast.
13 The controlling unit is unit 3. That is the controlling
14 unit in terms of most of the model.

15 Q. I am going to get to that,
16 Mr. Sobanski. Just back up one minute. If your bore-
17 holes, from what I am understanding there, Mr. Beechinor,
18 can't be marked on Figure 4, how can you then determine
19 your discharge zone?

20 MR. BEECHINOR: A. I am sorry, you
21 would have to clarify that question for me.

22 Q. You indicated a moment ago that
23 you can't delineate your boreholes on this Figure 4.
24 What I am asking is how could you then delineate your
25 discharge zone from this figure, Figure 4?



1 A. Figure 4 was cut off at Highway
2 403 at the south end of the site. It doesn't go far
3 enough. One b is supposed to be indicative of the dis-
4 charge zone till. On Exhibit H-220 where we describe
5 the discharge zone till area is shown here where the
6 highly-fractured shale unit at HC-14 and HC-5, the pink
7 unit sub-crops the overburden and the thickness of the
8 discharge zone till was an average of the overburden
9 thickness at HC-14 and HC-9.

10 Q. How can you be certain where it
11 is when you have this cutoff at 403? Mr. Beechinor,
12 this is an area my clients are quite concerned about,
13 is where this discharge zone is. I am trying to get
14 an understanding of how we and the Board can find how
15 you determined this.

16 A. I think in the interrogatories
17 I provided to the Canadian Environmental Law Association
18 we have some supplementary stratigraphic sections that
19 delineate south of Highway 403 our interpretation of
20 where the highly-fractured shale unit is; is that right?

21 Q. I will get to that point. Just
22 back to this Figure 4, am I correct there is no way --
23 if we can't find the boreholes on it, how do we deli-
24 neate?

25 A. I think you can go to the text here.



1 Why don't we do that? It is in the interrogatories and
2 the text. I think if we go to page 50 in the text we
3 have a description of what we were perceiving as the
4 discharge zone till. I will read it:

5 "South of Site F the till is overlain by
6 lacustrine sediments mostly sand. This
7 granular layer is typically a black deposit
8 grading toward the lake from a thin veneer
9 of sands to sandy silts near F.

10 An average hydraulic conductivity of
11 3×10^{-6} centimetres per second was
12 assigned to the combined lacustrine sands
13 and clay silt till overburden found
14 south of Site F."

15 Q. Mr. Beechinor, I have some questions
16 that relate to that later on. Let me carry on for a
17 moment back to actually the point Mr. Sobanski raised.
18 If we look at Figure 4 -- sorry -- and again turn to HC-20,
19 unit 3 in your HC borehole 4.

20 DR. KINGHAM: You've just lost us there.

21 MS VIGOD: Q. H-220, unit 3 in borehole
22 HC-4. Again I believe your testimony the other day was
23 that the elevation was 125 to 110 for a thickness of 15
24 metres.

25 MR. BEECHINOR: A. Where are we now? We



1 are at HC-3?

2 Q. HC-4, unit 3, your weakly-massive
3 unit.

4 A. I tried to make some notes of what
5 I was saying.

6 Q. Actually I wrote down your eleva-
7 tions as you were giving testimony.

8 DR. KINGHAM: That essentially means for
9 the record where those bold green lines march off to
10 the left and you are saying that the record was from
11 elevation 110 ...

12 MS VIGOD: ... to 125.

13 MR. BEECHINOR: That is right.

14 MS VIGOD: Q. Again, if we look at
15 Figure 4, we see that your unit 3 is modelled at 20
16 metres thick. This is your unit that you claim slows
17 down groundwater flow?

18 MR. BEECHINOR: A. Unit 3 is which?

19 Q. Your weakly-fractured massive shale
20 unit.

21 A. No, it was modelled at 15 metres.

22 Q. It is in Figure 4, and we just
23 went through this, it is 20 metres thick. I am just
24 looking at your ...

25 A. I can demonstrate the thicknesses



1 we used for the models. I think I've done this before.
2 If you go to page 107 of the text. Start with page 106,
3 Figure 12, if you look at the information at the top of
4 the page, the model thickness for the weathered shale
5 was 20 metres. Turning over the page to 107, Figure 13a,
6 the model thickness for the weakly-fractured shale unit
7 is 15 metres.

8 Q. So am I correct then that for the
9 FLONETS, the FLONETS model you used 20; is that correct?

10 A. No, I don't even think that is
11 correct. I think at the north if you scale it off -- I
12 was scaling it off the other day. At the north end of
13 the site I think it is 18 metres and around the centre
14 of the site where we made the pick for the contaminant
15 model it is about 15 metres and decreases I think even
16 further towards the south end of the site.

17 Q. But, Mr. Beechinor, on Figure 4
18 where we have the thickness on the left-hand side and
19 I will accept your differentiation between FLONETS and
20 contaminant transport, it says we have the 20 metres,
21 15 metres and 20 metres. My understanding is that you
22 should rely on this Figure 4 as your FLONETS model
23 information.

24 A. I think what you've said is you
25 can rely on this to give a conceptualization, a visual



1 aid to the reader of the hydrostratigraphic units that
2 we were identifying.

3 DR. KINGHAM: We are understanding you
4 to have said that the 15 metres that appears in your
5 model in Figure 13a of this exhibit had to do with the
6 model for contaminant migration?

7 MR. BEECHINOR: That is right.

8 DR. KINGHAM: Is the 20 metres that
9 appears at the bottom of page 49 then the thickness you
10 used in the FLONETS? I think that is the question.

11 MR. BEECHINOR: I think in general it is
12 20 metres. If we go to, say, the interrogatory for
13 Weir & Foulds, at the north end ...

14 MS VIGOD: Q. Mr. Beechinor, it is two
15 parallel lines, isn't it, in Figure 4?

16 MR. BEECHINOR: A. Yes.

17 Q. With the 20-metre thickness?

18 A. I think at the north end of the
19 site where we utilized for the finite element model it
20 is about 20 metres. I think if you actually scale it off
21 it is about 18 metres. If you move down to the centre
22 of the site just north of HC-4 on the finite element
23 grid showing the hydrostratigraphy, we -- if you did
24 scale off the elements at that location, I believe
25 that the thicknesses for the fractured and weathered



1 shale unit, unit 2 is about 15 metres and the thickness
2 of the weakly-fractured shale is about 15 metres, perhaps
3 up to 16, 17 metres at that location.

4 Q. All right.

5 A. What we had also done, keep in
6 mind, is we did some sensitivity analysis varying the
7 thicknesses of these units to see how much difference
8 it actually did make. We felt comfortable that varying
9 the thickness by one or a few metres does not substan-
10 tially change the calibration. In fact when we did
11 some gross changes to the thickness we got a much worse
12 match.

13 Q. All right, Mr. Beechinor, let me
14 move on. Just finishing off HC-4, the highly-fractured
15 unit and I believe this point has been made that the
16 unit, your unit 4 in HC-4 goes from elevation 110 to
17 the base of that borehole and is therefore four metres
18 or greater. I believe you have testified to that.

19 A. We are at HC-4?

20 Q. Unit 4.

21 A. Unit 4? All right, the highly-
22 fractured shale unit.

23 Q. Elevation 110.

24 A. Yes.

25 Q. Down to the base of that borehole.



1 You don't have a line under it because it ends in that
2 unit?

3 A. It ends in that unit.

4 Q. In other words it is greater than
5 four metres?

6 A. It could be. It could be.

7 Q. We have had this discussion, from
8 your model at that point in the middle of Figure 4 it is
9 depicted as zero?

10 A. That is right. That is our
11 interpretation that it thinned out and pinched out
12 somewhere in the centre of the site. I believe in the
13 interrogatories to the Canadian Environmental Law
14 Association you suggested that maybe it extends all the
15 way to the north end of the site. We tried that in the
16 simulation and we didn't get a better calibration with
17 that. Even if that were the case I don't think I would
18 have too much difficulty in accepting that. The highly-
19 fractured shale unit went right to the north end of the
20 site.

21 Q. If we look at -- I would just like
22 to finish with HC-6 in H-220. Again, looking at your
23 massive unit, your unit 3 and the elevations you gave
24 in testimony were from 118 to 109 for a total of nine
25 metres.



1 A. For HC-6 I have said -- what have
2 I said?

3 Q. One eighteen to 109 for your unit
4 3, the weakly-fractured massive shale.

5 A. No, I think for the weakly-
6 fractured shale unit it was my understanding that I had
7 indicated -- at HC-6 we are talking about?

8 Q. Yes, we are.

9 A. One eighteen to 109, is that what
10 you said?

11 Q. That's exactly what I copied down.
12 All right, my question here is; as you appreciate, that
13 nine metres is both thinner than either your contaminant
14 transport model of 15 metres or your FLONETS model
15 somewhere in the vicinity of 20 metres?

16 A. I would agree with that and again
17 the thicknesses of the units are based on what we
18 interpreted thicknesses to be at the centre of the site.

19 Q. But when we are talking about
20 groundwater flow would you agree with me that you are
21 not using either a representative number or a conserva-
22 tive number in your model?

23 A. I think we are using a representa-
24 tive and conservative number. That is why I chose the
25 centre of the site, it may be thinner at the south end
of the site.



1 It may be thinner at the south end of the site, it may be
2 thicker at the north end of the site.

3 Q. Again, I am still -- I am trying
4 to get a picture of your actual field data and your
5 model. Mr. Beechinor, I would like to turn to a dis-
6 cussion of your pumping tests.

7 A. I am going to let Mr. Sobanski --
8 I think he has reviewed more recently than I the pumping
9 test results so I am going to have Mr. Sobanski take that.

10 Q. I am going to be referring to your
11 pumping test results in Appendix 10 of Exhibit H-40A
12 and Drawing 2 helps us with these pumping tests. I
13 would like to start -- my understanding is that you
14 chose the locations of the pumping tests based on
15 various high permeability zones you had delineated
16 through some of the WAT series and your HC-3 wells.

17 MR. SOBANSKI: A. That is partially the
18 story. We certainly had seen evidence of that. We
19 were looking, though, at the purge well concept when we
20 put in pump well No. 1. It was also put in there
21 because a lot of -- you have a large data base sitting
22 there available to monitor. Putting monitor wells in
23 rock is not a cheap proposition and we are sitting
24 there among a whole nest of wells that we can use as
25 monitors for our pumping test. To me it made eminent



1 test sense that that would be where we would conduct one
2 of these tests.

3 Q. Now, my understanding is that
4 pumping well No. 1 is located -- that is the one located
5 near MB-13. I guess we also have those locations in
6 the interrogatories.

7 A. Yes.

8 Q. If we look at -- I am going to ask
9 you to turn to the Morrison Beatty 13 drawdown results
10 in Appendix 10, four pages in Appendix 10.

11 A. Yes.

12 Q. You confirm there that we see the
13 high values of the permeability in Morrison Beatty 13-2,
14 3×10^{-2} and then Morrison Beatty 13-3, 4.3×10^{-2} . So
15 there your high permeability ...

16 A. Again, that is based on a thickness
17 here of one foot thick.

18 Q. We have therefore in fact a ten-
19 metre zone of permeability of 10^{-2} according to this
20 pump well result?

21 A. I'm not sure -- no, that wouldn't
22 be the conclusion you draw. The results there indicate
23 the way it is calculated is that you have two feet of
24 that permeability.

25 Q. Then if you -- where this unit is



1 confirms to your H-220, unit 4; is that correct, your
2 highly-fractured unit?

3 A. Yes, that is right.

4 Q. There were no packer or rising
5 head tests done in this Morrison Beatty well I believe?

6 A. I don't recall them doing any.
7 It wouldn't be possible for us to do because they
8 constructed the wells.

9 Q. Let us look then at Morrison
10 Beatty 16 in Appendix 10. Again this is in relation
11 to your pumping well 1, the second page into your
12 Appendix 10.

13 A. Yes.

14 Q. Again we see high permeabilities
15 of 1.3×10^{-2} at MB-16-2 and at MB-16-3, 1.2×10^{-1} ,
16 very high permeabilities?

17 A. Yes.

18 Q. Now, I would like to turn for a
19 moment back to the Morrison Beatty report, the Phase 3
20 report and if you could turn to the appendix at the
21 back and I am looking at the appendix at the back called
22 field permeability tests. Do you have that?

23 A. Not yet.

24 Q. No pages on this report either.
25 Appendix C, field permeability.



1 A. Appendix C, yes.

2 Q. Would you confirm that if we look
3 at OW-16-17 and 20-21 we see that those are the same
4 wells as your Morrison Beatty 16-2 and 3, they are the
5 same elevations, they are the same well?

6 A. Yes.

7 Q. If we look at the permeabilities
8 we see that in OW-16-17 in the Morrison Beatty report
9 we have a permeability of 2.35×10^{-5} ?

10 A. Yes.

11 Q. And OW-16-21 shows a permeability
12 of 5.9×10^{-7} ?

13 A. Yes.

14 Q. That same well, in your pumping
15 test, the latter one gave a permeability of 1.2×10^{-1} ?

16 A. Yes, that's right.

17 Q. You have said many times that the
18 pumping tests are a more reliable test because they deal
19 with a larger area of the rock; is that correct?

20 A. We have also said that for some
21 reason Hvorslev doesn't seem to be working in this zone
22 and, yes, I feel that the pumping test is more reliable.

23 Q. Yes.

24 A. We have had this problem on several
25 other wells. You have taken Mr. Beechinor through wells



1 4 and 6 as well. The Hvorslev doesn't seem to indicate
2 the downward gradients indicate that there is a zone
3 there.

4 Q. And then your pumping test in fact
5 confirmed a permeable zone?

6 A. Yes, I have mentioned -- I think I
7 felt in some ways we were lucky on this one because
8 without this pumping test we would have come through with
9 a pretty traditional interpretation of this site as has
10 been given to date. This became, to us, the key to
11 the interpretation of the layered system.

12 Q. Mr. Sobanski, I would just like to
13 continue with pumping well test No. 1. We see the -- I
14 guess the other well with the result is the WAT-7 series.
15 We find that at the fifth page in Appendix 10. Do you
16 have that?

17 A. Yes, I do.

18 Q. Again, for all those WAT wells --
19 I'm not going to read all the numbers but we see that
20 again it is a very high permeability, 10^{-2} , 10^{-3} zone.

21 A. Again though, based again on one
22 foot of thickness for this fractured layer. We had
23 some discussion on that that it could be lower than that.

24 Q. It would be then if you are using
25 that interpretation, all those tests would fall within



Nethercut & Co. Ltd.

Toronto, Ontario

8610

Sobanski, Beechinor,
cr-ex (Vigod)

1 the same general range; right?

2 A. They have about a five-foot packed-
3 off interval. We have assumed a foot here. If you
4 applied just on these individual tests a different
5 thickness, then we would be dealing with one-fifth of
6 the value shown here.

111A 7 Q. That covers off the testing for
8 pump well No. 1. So, just in sum at that point we see
9 that these results in a fair number of wells have a high
10 permeability. As you have said, the Hvorslev results
11 from Morrison Beatty had shown a lower permeability but
12 these later pumping tests showed a higher permeability
13 zone?

14 A. I think we should understand too
15 that the WAT series wells, these were the wells that did
16 respond. There were others at shallower depths that
17 did not respond to the pumping test. We monitored the
18 entire nest of 12 piezometers and these were the ones
19 that were showing some indication of response.

20 Q. Okay. Now, I would like to look
21 at pumping well test No. 2 and HC-3 is the well with
22 the drawdown there. First of all, you would agree that
23 on Exhibit 220, HC-3 extends into your unit 4, highly-
24 fractured zone?

25 A. If I could have just one moment to



1 get our location fixed.

2 Q. If you can find HC-3, it's right
3 beside that.

4 A. I just want to refresh my memory
5 for a minute where we are at on the site.

6 Q. Western central.

7 A. Yes, okay.

8 Q. Again on Exhibit H-220 you would
9 confirm that that extends into your unit 4, hydro-
10 stratigraphic?

11 A. No, this is just in the weathered
12 unit.

13 Q. If you look at the bottom of HC-3,
14 that extends, does it not, into your unit 4 zone? It
15 is shown on your figure.

16 A. I am sorry, we are talking HC?
17 Yes, it extends into the ...

18 Q. If we look at -- this is actually
19 -- if we look at -- just keep that page in Appendix 11
20 here and we see that the -- if we can look at the packer
21 test in Appendix 11, the first page of Appendix 11 in
22 H-40A.

23 A. Just give us a moment, please.

24 Q. Do you have those?

25 A. Yes.



Nethercut & Co. Ltd.

Toronto, Ontario

8612

Sobanski, Beechinor,
cr-ex (Vigod)

1 Q. I am just looking at -- these were,
2 I understand, the packer tests that caused you to
3 consider the pump tests. We see the results, 8.7×10^{-4} ,
4 9.1×10^{-4} and 8.9×10^{-4} ?

5 A. Yes.

6 Q. Now, I want to first: of all -- and
7 those are at the elevations listed across that page. I
8 won't read them at this time. If we look at Exhibit
9 H-220 ...

10 A. Yes?

11 Q. ... you will see the top of unit 4
12 is at about 113 metres? Do you have that?

13 A. At HC-3 are you referring to? It
14 would be about, the way I am reading it off here, the
15 top of unit 4 would be about 111.

16 Q. All right, let us use that, some-
17 where in that vicinity. Would you agree that the lowest
18 elevation of the packer test with the high permeability
19 results is about 124.8, looking at your Appendix 11?

20 A. Yes.

21 Q. That would be a difference of about
22 13 metres?

23 A. Yes.

24 Q. So in fact those HC-3 packer tests
25 are way above unit 4, are they not?



1 A. Yes, they are. They are in the
2 weathered shale.

3 Q. Again, there was a rising head
4 test done near the elevation of unit 4 and we see that
5 again in Appendix 11 at elevation 109.8 to 111.3?

6 A. I'm sorry, these numbers are coming
7 so fast.

8 Q. HC-3-85 we are still on and I'm
9 looking at the rising head tests.

10 A. Yes.

11 Q. Again, can you confirm that that
12 was in your unit 4, your highly-fractured zone?

13 A. For which?

14 Q. The 109.8 to 111.3.

15 A. That is the 1.7×10^{-7} ?

16 Q. Yes.

17 A. Yes, that is right.

18 Q. So, you would confirm that this is
19 the only well in your HC series that permits a direct
20 comparison of packer, rising head and pump testing?
21 That is my conclusion after looking at all the data.

22 A. I am not sure. I should point
23 out though that when you look again -- if you look at
24 the packer test here and if you look at the pumping test
25 at No. 2 there is a thickness correction factor required



1 again. The thickness that I have used here is one foot
2 to calculate the K value. In the packer tests it is not
3 used as one foot, it is used as the entire packed-off
4 interval. Unfortunately because of the way it is done
5 these aren't directly comparable. I can work out the
6 appropriate number for you if you like on what the
7 pumping test indicates and what the packer test indicates
8 and put them on a comparable basis by taking thickness
9 into account. If you like I can do that. If you see
10 the differences here, one is 10^{-3} and one is about 10^{-2} .
11 So, if the difference in the packed-off interval is ten
12 feet that would take it into account. In other words
13 the pumping test results would be reduced by a factor
14 of ten and it would put them into the range of the
15 packer test permeability.

16 Q. Again not the rising head test where
17 we saw 1.7×10^{-7} ?

18 A. No, the rising head tests are
19 obviously different here. But I should point out
20 though that again the 10^{-7} is now not in a comparable
21 zone. You have taken us from the upper zone, the
22 weathered shale of unit 2 where we have just discussed
23 the pumping test and the packer test and now you've
24 thrown in 1.7×10^{-7} which is in zone 2 that is lower,
25 so you are making a wrong comparison.



Nethercut & Co. Ltd.

Toronto, Ontario

8615

Sobanski, Beechinor,
cr-ex (Vigod)

1 Q. I am comparing your rising head
2 test in unit 4 which is your highly-fractured unit.

3 A. Those other tests, these pumping
4 tests weren't carried out in that unit. They were
5 carried out two units higher.

6 Q. All right, let us -- let me just
7 finish off with HC-3. If we look at appendix 10, back
8 into the drawdown results and we see the three results
9 for HC-3a, 3b and 3c ...

10 A. I am sorry?

11 Q. Appendix 10, the pumping well 2
12 results.

13 A. Which graph are we on?

14 Q. We are looking at nine pages in.
15 The title is "Pumping Test No. 2 Time Drawdown Data
16 for HC-3 Series Observation Wells."

17 A. Yes, that's right.

18 Q. Now, what I am trying to do is
19 look at the elevations of those three wells on your
20 H-220. Can you confirm that the bottom of HC-3a falls
21 into the top of unit 4?

22 A. Yes, it does.

23 Q. And the 3b falls near the top of
24 unit 3, do you see that?

25 A. Two is in the bottom of unit 2



1 according to Mr. Beechinor.

2 Q. Do you see that 125 is your
3 boundary between 2 and 3?

4 A. It is more like 124 now that there
5 is a scale on here.

6 Q. I believe your evidence -- it's
7 okay. If we look at your 3b which is 124.2 to 126.7
8 falls near the top of unit 3; am I not correct there?

9 A. Mr. Beechinor says that the bottom
10 of the piezometer is at 125. If it is at 125 that
11 would put it in the bottom of unit 2.

12 MR. BEECHINOR: A. It is in the bottom
13 of unit 2.

14 DR. KINGHAM: Are you talking about the
15 same thing? I believe Ms Vigod asked a question about
16 HC-3b which shows an average of 123.5 metres above sea
17 level.

18 MS VIGOD: Q. That's right. Could you
19 confirm?

20 MR. SOBANSKI: A. We seem to have a
21 discrepancy here, if we could have a moment to check.

22 DR. KINGHAM: Is this a good time to
23 have lunch?

24 MS VIGOD: Yes.

25 DR. KINGHAM: Will we try for 1:30?



1 MS VIGOD: I would appreciate that.

2 --- Luncheon recess at 12:20 p.m.

3 --- Upon resuming at 1:43 p.m.

4 DR. KINGHAM: Thank you. Please be
5 seated. All right, Ms Vigod.

6 MR. BEECHINOR: Mr. Chairman, you asked
7 me to check the elevation of the screen settings just
8 before lunch. I have done that if you wish that
9 information. There was another lettering scheme used,
10 A, C, B. A is observation well No. 1. I am taking
11 this from Appendix 4 in the hydrogeologic report. At
12 HC-3-85 the well denoted A on the pumping test informa-
13 tion was observation well 1. It has a screen setting
14 of 109.8 to 111.3. Observation well 2 is the one
15 denoted C in the pumping test information. It has a
16 screen setting of 125.1 to 126.6. The other one, B,
17 OW-3, should have shown on the pumping test data a
18 screen elevation of 128.7 to 130.2.

19 DR. KINGHAM: So that means if I under-
20 stand this -- just let's get this straightened out. If
21 we turn back to Appendix 10, is that what you are
22 suggesting?

23 MR. BEECHINOR: That's right.

24 DR. KINGHAM: To I believe what was the
25 ninth page, the HC-3 series observation wells?



Nethercut & Co. Ltd.

Toronto, Ontario

8618

Sobanski, Beechinor,
cr-ex (Vigod)

1 MR. BEECHINOR: That's right.

2 DR. KINGHAM: You are saying that the
3 numbers which appear in Appendix 4 beside HC-3-85 for
4 the screen settings, top and bottom, should correspond
5 to the numbers in Appendix 10?

6 MR. BEECHINOR: That is right, Appendix 4.

7 DR. KINGHAM: Your evidence is that the
8 numbers in Appendix 4 are correct and those in Appendix
9 10 should be changed?

10 MR. BEECHINOR: That is right.

11 MS VIGOD: Q. Sorry, Mr. Beechinor, just
12 for clarification, could you just go through to Appendix...

13 MR. BEECHINOR: A. You can all see it on
14 Exhibit H-220.

15 DR. KINGHAM: Just to make sure the
16 record is clear, Ms Vigod, that would mean that HC-3-B
17 on Appendix 10 of the time drawdown data for HC-3
18 observation wells, HC-3-B should then read from 125.1
19 to 126.6; is that what you are telling us?

20 MR. BEECHINOR: No, H ...

21 DR. KINGHAM: I said B.

22 MR. BEECHINOR: I am giving the elevation
23 for the HC-3 one.

24 MR. ESTRIN: Which one are you looking at?

25 MR. BEECHINOR: I will do this again from



Nethercut & Co. Ltd.

Toronto, Ontario

8619

Sobanski, Beechinor,
cr-ex (Vigod)

1 the top. A, observation well A you see there is ...

2 MR. LEDERER: Maybe the thing you could
3 do is take a felt pen and write it down.

4 MR. BEECHINOR: Is that helpful?

5 DR. KINGHAM: That is the way I had under-
6 stood it from the start. You have taken the numbers
7 from Appendix 4, observation well construction details
8 which you have now shown on this flip chart; OW-1, 109.8
9 to 111.3 as being pump test A. That is indeed the
10 same as appears in Appendix 10. OW-2 which showed
11 always 125.1 to 126.6 in Appendix 4, you wish that now
12 to appear beside HC-3 in the pumping test No. 2, instead
13 of 124.2 to 122.7 which appeared there formerly?

14 MR. BEECHINOR: Yes.

15 DR. KINGHAM: Finally you have taken the
16 numbers 128.7 to 130.2 off Appendix 4 and those are the
17 numbers which you would like to have appear beside pump
18 test ...

19 MR. BEECHINOR: B.

20 DR. KINGHAM: I see you have put down
21 A, C, B now.

22 MR. BEECHINOR: Those are the correspond-
23 ing letters to the observation wells. The only one that
24 was changed was B actually.

25 MR. SOBANSKI: Maybe I can help. I don't



1 know whether I can. On page 9 if you look at the pumping
2 test drawdown, on the left-hand side we have OW-HC-3-A,
3 B and C. Change the first one, HC-3-A to HC-3-1. The
4 second one which is HC-3-B, change to HC-3-3. The
5 bottom one HC-3-C, change to HC-3-2.

6 DR. KINGHAM: That certainly is a change.

7 MR. SOBANSKI: Now, on the right-hand
8 side we have HC-3-A, change that to HC-3-1 again. That
9 stays the same other than the 1. The depths stay the
10 same. HC-3-B, change to HC-3-3. Just like we did on
11 the left-hand side but the depth now changes to what
12 is shown there. It is shown as 124.2. It changes to
13 128.7 and 130.2. So, 128.7 to 130.2.

14 Finally, the last one, finally HC-3-C
15 changes to HC-3-2 and the depths stay the same.

16 DR. KINGHAM: Thank you very much.

17 MS VIGOD: As you can imagine that does
18 created a bit of confusion.

19 MR. SOBANSKI: For us as well.

20 MS VIGOD: Q. I would ask if you could,
21 please, overnight locate your field notes as to how
22 these A, B and C got changed to 1, 2 and 3 so we can
23 clarify that that is ...

24 MR. SOBANSKI: A. I wouldn't mind
25 checking it myself because of that depth change.



1 MR. BEECHINOR: A. It is a numbering
2 scheme our field technician had at that time.

3 Q. If we could have that undertaking
4 for tomorrow then.

5 MR. SOBANSKI: A. Somehow it wasn't
6 converted to the other system.

7 Q. Now that I understand and I am
8 sure you will correct me if I am wrong, we have HC-3-A
9 which remains the same. We have this highly-permeable
10 unit which is found in unit 4. There is the pump test
11 results. Is that right?

12 A. We have reported all of our
13 information to you. HC-3-A or HC-3-1 which is the deep
14 piezometer, we have reported the data but we are not
15 really very sure of that information. We had a change,
16 the well was monitored from time to time, very periodi-
17 cally and we had a change really in the last point. We
18 are not sure whether that was a true reading or not.
19 It is of course in the deep zone while the pumping test
20 was carried out in the upper zone. We tend not to
21 believe it. For example, the difference between the
22 base of the pumping well, the base of the pumping well
23 and that piezometer is only in the order of about ten
24 metres or so, ten or 12 metres. One would have expected
25 that if there was a connection vertically of some sort



1 we would have had a very rapid response because it in
2 fact is closer than the observation wells in the upper
3 unit which are at a distance of only about 14 metres
4 or so. We have given all of our data here and we have
5 given an interpretation for it but the top curve we
6 don't really believe because we think the last point
7 is a spurious point that was never verified.

8 Q. Mr. Sobanski, I guess my question
9 is what are we to believe in all of this? First of all
10 we are dealing with H-220 and these results and now you
11 are telling us that you don't believe these tests in
12 here. Mr. Sobanski, let me ask you this; is the reason
13 you don't believe this result which is the pump test
14 result because it would show the fact that there is a
15 response through your unit 3, your 10^{-7} zone?

16 A. Oh, no. If that happened it would
17 be quite feasible. It is quite feasible. We have talked
18 about vertical fractures in these units. We have said
19 that there is a hydraulic continuity from the upper to
20 the lower unit. That wouldn't be an impossible inter-
21 pretation of the data. We are just saying that when
22 you look at, for example, the transmissivity is very
23 high. It is nearly 10^{-1} which would indicate that you
24 would get a very rapid response. Yet if you look at
25 the storage coefficient of that unit, 1.6×10^{-2} , that's



1 a very high value, it's like a water table case. So,
2 where we have just one point like that to give us an
3 indication that there might have been a change, actually
4 the previous one, first of all there was no response at
5 all for 90 minutes and then we plot a potentially small
6 response at 120. Then there was no monitoring at all
7 until the end. Essentially the curve was flat other
8 than the last point. However, if it were, given this
9 low storage coefficient, when you look at the other
10 storage coefficients of 5×10^{-5} and another value of
11 10^{-5} ...

12 Q. Mr. Sobanski, you do agree that
13 there is a possibility of, as you said, vertical
14 fractures and some connection in those units?

15 A. Yes, there is. We have said this
16 all along that these zones would be connected from place
17 to place by vertical fractures and this is how some of
18 the water gets down.

19 Q. Mr. Sobanski, let me just finish
20 off with this pumping well 2. First of all, if we
21 accept your new values, my understanding is that your
22 3-A well is in unit 4 and now your 3-B and 3-C wells
23 would be in unit 2?

24 A. The number -- the A well would be,
25 or which is No. 1 now, would be at the top of unit 4.



1 Q. Yes.

2 A. The other two wells are located
3 within unit 2.

4 Q. Yes. Just a brief comment on
5 that. Your unit 2 zone which you have modelled at 10^{-5}
6 in which we have seen the higher permeability rates in
7 your pump test here and also that packer test at HC-4
8 which showed a 10^{-3} rate, my question is, why wasn't
9 the higher permeability rate modelled for that unit?

10 A. It wouldn't make a great deal of
11 difference in modelling the weathered unit at a higher value.
12 The transit time through that unit at 10^{-5} is very
13 rapid. Whether -- if we have a horizontal permeability
14 of 10^{-2} it is just going to mean that even less water
15 will get down because these are horizontal permeabilities.
16 In fact more will move laterally.

17 Q. Mr. Sobanski, let me finish up
18 this pumping well. You did get a response at PW-6-86.
19 It is the same as your OW-2-86. If you look in the
20 interrogatories, it is located 19-1/2 metres in the
21 pumping well. I believe you will find the log for that
22 pumping well test at about six pages in.

23 A. Yes, I see that.

24 Q. It is seven pages in in Appendix
25 11 and we have pumping well 2-86.



1 A. Yes.

2 Q. Again, if we plot, we see the high
3 permeability of 4.3×10^{-2} . If we plot that on the
4 unit Exhibit 220, do we again see that somewhere between
5 unit 2 and the top of unit 3?

6 A. I'm sorry, we see which?

7 Q. We see that pumping well result?

8 A. No, that would be in unit 2.

9 Q. The bottom of unit 2 there?

10 A. It's in the bottom of unit 2. It's
11 in the weathered zone.

12 Q. Again that would show some
13 connection between that unit 4 and unit 2?

14 A. No, no. That well PW-6 is
15 located essentially entirely within the upper unit 2.
16 It just slightly penetrates, it is a metre or so into
17 unit 3.

18 Q. Mr. Sobanski, just before I leave
19 this pumping well test, if we look on your H-220 and
20 look at HC-3, the result you don't believe is written,
21 I believe at the bottom of that well we see the $5.9 \times$
22 10^{-2} ?

23 A. Yes, that's right. It was put on
24 -- it was certainly put on the map.

25 Q. Now, finally, let us look at



1 pumping well 3 and we see a response at WAT-5. That
2 will be again in Appendix 11. That is actually the
3 second-last page of your chart there. You are anticipat-
4 ing my question I see.

5 A. No, I'm just trying to get a
6 location fixed in my mind as to where we are on the map.
7 I can't anticipate your questions yet, you haven't asked
8 any.

9 Q. My question is, first of all, if
10 we look at WAT-5-1 which we see at elevation 122.4 to
11 120.9 and the permeability of again 4.6×10^{-3} , would I
12 be correct that that is in the top of your unit 3? I
13 believe it shows as such on your Exhibit 220.

14 A. Just give us a moment, please.
15 You want to know which unit WAT-5-1 is in?

16 Q. Yes.

17 DR. KINGHAM: Can you tell us where we
18 find PW-3 on H-220?

19 MS VIGOD: I am looking at -- TW-3 is
20 the same as PW-3.

21 DR. KINGHAM: Thank you.

22 MS VIGOD: Q. That is correct that TW-3
23 is the same as PW-3?

24 MR. BEECHINOR: A. I am sorry?

25 Q. TW-3 is the same as PW-3?



1 A. TW-3, yes, that is right.

2 MR. SOBANSKI: A. If I may, Mr. Beechinor
3 will explain.

4 Q. Right. Now, am I correct that
5 WAT-5-1 is located at the top of unit 3 at a depth of
6 6.2 metres?

7 MR. BEECHINOR: A. I have noted on WAT-5
8 on H-220 where we got the effects in the WAT wells in
9 the two upper WAT wells, the base of that effect at the
10 WAT-2 well is where we made the contact between unit 2
11 and unit 3.

12 Q. And you are looking at WAT-5-1 or
13 WAT-5-2?

14 A. WAT-5-1 and WAT-5-2.

15 Q. Are you saying both of them are
16 at the base of that?

17 A. One of them is above the other.

18 Q. That's right, the bottom one I
19 read as being at the top of zone 3.

20 A. If you look at Exhibit H-220 where
21 we have broken, it is straddling the contact, I guess
22 WAT-2 is straddling the line where I made the interpreta-
23 tion between hydrostratigraphic unit 2 and hydrostrati-
24 graphic unit 3. It is indicating what we feel is the
25 hydraulic conductivity of unit 2. If you recall the top



1 of the contact between hydrostratigraphic unit 2 and
2 hydrostratigraphic unit 3 at HC-6 was about 118.

3 Q. So, again, this is 10^{-3} and you
4 have modelled your unit as a higher unit?

5 A. I think if you recall what I said
6 this morning when we were doing the coring and sampling,
7 we were looking for permeable zones to instrument. So,
8 our analysis of hydraulic conductivity is biased to the
9 permeable zones. These are isolated units of permea-
10 bility within the hydrostratigraphic unit 2.

11 Q. I guess my problem though is a
12 number of these wells seem to be at this interface
13 between units 2 and 3 which goes from a permeability
14 of 10^{-5} to 10^{-7} . If your pumping wells are showing 10^{-3} ,
15 10^{-2} , that is quite a delineation you are making there.

16 MR. SOBANSKI: A. Yes, but you are not
17 -- you aren't testing with those the poorly permeable
18 unit. These wells are testing the weathered zone within
19 the upper weathered unit. These were the reason they
20 were tested as we said originally. We had had some zones
21 on the packer test that indicated zones of high per-
22 meability so we decided to look at it to get a better
23 value for it.

24 Q. Now, Mr. Beechinor, Mr. Sobanski,
25 can we agree that everywhere, to finish up this pump test,



1 where we have pumped we have been getting in fact zones
2 of high permeability and in fact at all three pumping
3 well tests. I guess my question is didn't you feel that
4 it would be important to do other pumping tests, for
5 example, at around HC-4 or in the middle of the landfill
6 to in fact see whether the areas weren't in fact more
7 fractured under the site?

8 A. Some of the areas are inaccessible
9 to water well rigs. That is why there aren't water well
10 rigs in these areas. The terrain is too severe to bring
11 a 20 or 30-ton rig into the area on wheels. So you can't
12 put a water well rig into many of these areas.

13 We tested where we could get it and what we thought was
14 important at the time. In hindsight you always wish
15 you had more information. I don't know of any site
16 that has ever been investigated that can't be challenged
17 and you wish you had a few more holes. You know, we
18 did three pumping tests on the site. We looked at the
19 two units that we thought had the most permeability.
20 That was the upper weathered shale and we looked at the
21 deeper zone which is the, what we are calling for lack
22 of a better term, the highly-fractured unit. We ran
23 pumping tests in both of the zones that we thought had
24 hydrogeologic significance here in terms of their per-
25 meability.



1 Q. Okay.

2 A. We didn't run a pumping test
3 certainly on anything that is totally tight, it would
4 be a waste of money.

5 Q. Mr. Beechinor, Mr. Sobanski, I
6 would like to go on to the tritium testing which I guess
7 is your next area of evidence which you used to get your
8 hydrostratigraphic units.

9 As we have seen, the tritium data is a
10 useful indicator of how groundwater has travelled. This
11 would be particularly true of the site where we have
12 these downward gradients, the general usefulness of
13 the tritium tests.

14 A. The usefulness we believe for
15 tritium is it is a fairly new technique to start with.
16 The usefulness is in attempting to take water, water
17 that is pre-1952 or so and water that is post-1952.
18 The first tests were about November of 1952 by the U.S.

19 Q. I would like to just turn to your
20 results in Appendix 12.

21 DR. KINGHAM: You mean Figure 12 from
22 H-40 or Appendix 12? Figure 12.

23 MS VIGOD: You are right.

24 DR. KINGHAM: Or do you mean Drawing 20?

25 MS VIGOD: I think it is also in Appendix



1 12, small Roman Numeral iii.

2 Q. I would like to just also look at
3 your -- the borehole logs for HC-5 and HC-8. If we
4 start with HC-5 in Appendix 2, if we look at the sheet
5 1 of HC-5, we see the depth of the overburden is eight
6 metres; is that correct?

7 MR. SOBANSKI: A. Yes, about eight metres.

8 Q. We just check HC-5 in the log --
9 sorry -- HC-8 in the log and we see that the depth of
10 overburden there is about five and a half metres?

11 A. Five point seven is what we have
12 put in.

13 Q. Five point seven, okay. We have
14 seen based on your permeability information that you
15 are estimating the permeability of the till to be about
16 1×10^{-7} ?

17 A. That would be the unweathered till.
18 It would be 1×10^{-7} .

19 Q. Your Figure 4 summary lists 1×10^{-7} ?

20 A. That would be for the unweathered
21 till.

22 Q. Am I right then that the maximum
23 flow rate through the till is about, at that permeability,
24 would be about 30 millimetres per year, about 1.2 inches?
25 If we just take 1×10^{-7} and multiply that out?



1 A. I don't know. I would need all
2 the factors before I could put that number on it.

3 Q. At a gradient of one, 1×10^{-7} ?

4 A. A gradient of one?

5 Q. Yes, and times 60?

6 A. Just a second. Oh, so we now have
7 centimetres per second in the unweathered?

8 Q. Times 60 to get to centimetres
9 per minute?

10 A. That is first of all -- that is
11 Darcy velocity, that is not a velocity. What you have
12 given me is not a velocity.

13 Q. What would the velocity be per
14 year?

15 A. What would the velocity be at
16 that per year, if we ignored the possibility of a
17 weathered zone? So we want to divide that by about
18 $0.3 \times 60 \times 365 \times 1440$, about ten and a half centimetres
19 per year.

20 Q. If we were looking for evidence
21 that tritium had moved since 1952 over the 35 years
22 since 1952, at those flow rates, the till would serve
23 to block or slow the groundwater flow downward, would
24 it not?

25 A. To some extent. We've got a



1 weathered zone there to deal with as we have at the
2 other site, so probably the 10^{-5} line which is going
3 to be essentially removed by the landfilling operation.
4 We've got a weathered zone there that is maybe five or
5 six metres deep.

6 Q. Mr. Sobanski, my first question is
7 since you have chosen two places to do your tritium test
8 where there is a fair amount of till relevant to the
9 majority of the site, would it have been more helpful,
10 since we are looking for movement through the shale and
11 we agree that the till is -- the till will be removed,
12 to have conducted those tritium samples in wells where
13 there is little overburden cover just to get an under-
14 standing of the flow through the shale?

15 A. If we might just have a moment,
16 please. I don't know, I'm not sure how to answer that.
17 My recollection was and Mr. Beechinor can correct me on
18 this because he is the expert on the field activity, we
19 selected what we considered to be nests that we thought
20 were in very good shape. We did not construct tritium
21 wells specifically on this site as we did at Site D.
22 The costs here were very high when we decided to do
23 tritium. So, to drill new holes was very expensive and
24 time-consuming. Let me finish, please. We conducted
25 the tritium tests on these wells before we had resolved



1 the hydrostratigraphy. So they were done -- actually
2 the tritium here was done before we did the hydrostrati-
3 graphy.

4 Q. Yes, but, Mr. Sobanski, we are
5 talking about a site that is predominantly shale and we
6 are looking to see where the tritium is going through
7 the shale. You had other wells such as HC-4 or 2 that
8 newer wells were located where there is little soil
9 cover. Would it not have made more sense ...

10 A. Not necessarily. You could have
11 argued the other way. If I had taken them just in the
12 shale, you would have said "Well, why didn't you do them
13 in the overburden?" This profile here on HC-5 shows
14 that it has reached over 30 metres, so it certainly is
15 getting down there.

16 Q. But, Mr. Sobanski, if we are
17 looking for, if you like, certainly a conservative case
18 and we are looking to see -- we know the engineering
19 that most of the till is going to be taken off and most
20 of the site is shale. I am just going to say should we
21 have looked at those other wells or would it have been
22 more helpful?

23 A. I don't know.

24 Q. All right. You did do your
25 tritium testing at Site D I believe showed that the



1 tritium hadn't moved further than five metres through
2 till at that site. Actually, Mr. Sobanski ...

3 A. I think I should mark mine too.
4 We had estimated it to have moved somewhat in excess
5 of five metres.

6 Q. Okay, that is fine.

7 A. Something in the order of six
8 metres.

9 Q. Now, let me look at your result
10 for HC-5 in Appendix 12 and we have seen -- we have
11 stated that it has moved approximately 30 metres and
12 your conceptual flowpath which you describe in your
13 report on page 97 to 102 is essentially downward through
14 the fractured shale and weakly-fractured shale and then
15 laterally to discharge through the highly-fractured
16 shale?

17 A. Yes, that's right.

18 Q. The velocity, the downward velocity
19 through the fractured shale is 250 metres a year and the
20 downward linear groundwater velocity through the weakly-
21 fractured shale according to your calculations is 0.3
22 metres?

23 A. Yes, under the assumptions that
24 have been made there, yes.

25 Q. I guess here is where I have some



1 problem. On your Figure 4 we saw -- you projected the
2 thickness of the weakly-fractured unit being 20 metres
3 and if we had this tritium going through this thick
4 unit would it have only flowed about, as you said what,
5 ten centimetres times 35 years?

6 A. I believe my evidence was that I
7 had taken this tritium profile and I had run the numbers
8 through making the assumptions we have made and assumed
9 that the top and the base of the units as interpreted
10 and found that using these values I could get the material
11 down to a depth of 30 metres.

12 Q. I am sorry, I am going to do this
13 one again. If you had the velocity of 0.3 times 35 metres
14 you would have it flowing down 10.5 metres and that would
15 suggest ...

16 A. I'm sorry, which number are we
17 looking at now? First of all we know it's weathered
18 down to six metres or so. So it flashes through the
19 upper six metres, then it goes through a couple of metres
20 extra of till and then into a fractured medium.

21 Q. We are talking about -- we accept
22 that. We are talking about the weakly-fractured shale.

23 A. And at HC-5-85 it is only in the
24 order of seven or eight metres thick.

25 Q. HC-5 is now five to seven metres



1 thick, seven to eight metres thick?

2 A. It is ...

3 Q. ... seven to eight metres?

4 A. Something in that order.

5 Q. Mr. Sobanski, I saw that too.

6 Would you agree with me that the actual data where we
7 have this eight-metre-thick zone in unit 3 at this well
8 would explain why the tritium has entered the highly-
9 fractured unit as you have just said?

10 A. Yes, I gave that in evidence before
11 I believe.

12 Q. My problem is, going back to the
13 model, why did we use a 20-metre thickness for this unit
14 if we are trying to be conservative in predicting flow
15 rates? Why when this unit is supposed to be the barrier
16 are we using a 20-metre-thick unit instead of the
17 measured eight-metre-thick unit which corresponds to the
18 tritium data?

19 A. We have explained that we used an
20 average condition for the modelling which is taking into
21 account a slice from north of the site all the way down
22 to Hamilton Harbour. We have a grid that has been
23 established for that and we have had to input parameters
24 into the grid that are slightly different than field
25 conditions at specific points. It's just the nature of



1 the model. We have no choice, we have to jog it to jog
2 it around various nodes in order to make it roughly
3 horizontal. In some places it gets a little too thick
4 and in other places it's a little too thin.

5 Q. But, Mr. Sobanski, in your conta-
6 minant transport model it is that figure of 15 that
7 actually determines the velocity. There is not a range,
8 we don't see a conservative figure being plugged in that
9 model, yet we have tritium data and permeability data
10 and other data showing us that this unit may be eight-
11 metres thick.

12 A. As I say, we looked at what we
13 felt and what Mr. Beechinor felt was an average condition.
14 I shouldn't say Mr. Beechinor. It was many people
15 involved in it. It was an average condition, an average
16 case that was looked at. If it seems to fit the
17 empirical data that we are finding at the landfill sites,
18 we haven't seen gross contamination from those sites in
19 about the right time frame. What we are dealing with
20 now is one well and saying why didn't we use this. The
21 interpretation of this site is a bigger thing than looking
22 at an individual data point.

23 Q. We have looked at a number of wells
24 and seen that that unit may be thinner than the one
25 model?



1 A. In some places it is thinner, yes,
2 it is.

3 Q. As well we have seen that this
4 corresponds to an explanation of how the tritium got
5 into that unit at this well, another piece of informa-
6 tion.

7 A. When you run through the model,
8 part of it, the model has predicted pretty much what
9 we've seen in the tritium too at this time. Since the
10 Bayview site went in there could be contaminants down
11 at 403.

12 Q. Mr. Sobanski, first of all ...

13 A. It fits reasonably well.

14 Q. Are we talking about the model in
15 your report now or your new model?

16 A. We are talking about the model in
17 the report and we are talking about the chemical model
18 that Mr. Feenstra did. They all come together in
19 roughly the same time frame.

20 Q. Then this new model, H-221, which
21 you said you think is a better fit, you would agree that
22 that model where you plug in permeabilities of 10^{-8}
23 would certainly not gibe with some of this tritium data we've
24 seen and some of this other data about the thickness of
25 the zone?

111B



1 A. I could make it gibe very easily.
2 Given hydrogeological uncertainties it could be made to
3 gibe very easily. We know we don't have a good fix
4 on effective porosity in these zones. Change the
5 effective porosity now of the weakly-fractured shale
6 unit to 0.01 instead of 0.1 and all the numbers fall in
7 line again.

8 Q. That's another factor.

9 A. I regret that that is the way it
10 is. You have handed me a paper to review that says
11 pretty much the same thing. We don't have a handle on
12 fracture porosities. That includes glacial tills. We
13 can't apologize for it, we just don't have the informa-
14 tion. We have to make some educated assumptions and
15 in this case we have provided a model that fits the
16 empirical data that we have in that field. The sites
17 have been sitting there since the 1950's, one of them.
18 We are using that to help us and see whether the model
19 is realistic. The model could be. For example, if we
20 assume that Hewetson's chemical data are correct for a
21 moment and we have some traces of organics down at the
22 property boundary, it would roughly fit the model that
23 we have put in to the Board. We have tried to tie all
24 this in in a reasonable manner but we can argue all of
25 these numbers because they are just not possible even in



1 fractured tills to come up with an exact number.

2 Q. Just to finish off the tritium, we
3 have discussed the tritium results from HC-8 earlier.
4 Basically I guess -- would the conclusion there be that
5 a suggestion that the bedrock conditions are highly
6 variable?

7 A. The bedrock conditions no doubt
8 are variable.

9 Q. Ms Hewetson conducted the tritium
10 analysis on samples from the area and she presented the
11 results of about 50 analyses from various depths. Again,
12 her results found post-1952 water to depths of about
13 30 metres.

14 A. I believe that her numbers showed
15 that, yes.

16 Q. Again, that would correspond to
17 the elevations that you are finding in your highly-
18 fractured unit? I believe you plotted some of her
19 results on your H-220.

20 A. Certainly we have tried to inter-
21 pret it. Ms Hewetson also had some trouble with her
22 tritium data. She found it to be strange. Mr. Feenstra
23 may be dealing more with it. I'm not sure whether he is
24 or isn't. We found -- our curve was smoother than
25 Ms Hewetson's in HC-5. Her curve, for instance it is a



1 more classical curve of what you would expect for a
2 tritium profile. Hers was a little more erratic.
3 She was finding tritium in unit 4, the zone we have
4 identified as a highly-fractured unit. For example in
5 WAT-5 and she had some in Morrison Beatty 12. She also
6 had some even in deeper depths, Morrison Beatty 16 is
7 another one. Mr. Beatty is pointing -- I am getting
8 tired. Mr. Beechinor is pointing out that she found
9 it in Morrison Beatty 16 as well and mainly on that
10 fractured unit. Certainly there are higher concentra-
11 tions that she did at shallow depth. There were some
12 other shows at deeper depths as well in the more massive
13 unit below the so-called regional unit at the bottom
14 which would be zone 5 here although it is not numbered.

15 Q. Mr. Sobanski, you confirmed that
16 Ms Hewetson you said collected over 50 results and many
17 were duplicates. She as well had used both conventional
18 piezometers as well as her multi-level piezometers for
19 the tritium?

20 A. Yes, she had, she had used both
21 and she had used some of the Morrison Beatty wells.

22 Q. I would just like to turn to page
23 72 of your H-40 report, 72, and you see the second
24 paragraph starting with: "While the results ..."?
25

A. Yes, I do.



1 Q. "While the results indicate that
2 there is a moderate degree of variability
3 in the depth of penetration of post-1952
4 water the data suggests a general decrease
5 in tritium concentration locally.

6 Previous tritium samples taken near the
7 Bayview Landfill Site by Hewetson yielded
8 somewhat inconclusive results regarding
9 the vertical distribution of 3H. While
10 many more locations were sampled, much
11 of the data indicated increasing concent-
12 rations of tritium with depth. This
13 could be a result of very complex network
14 fractures or from bias introduced during
15 the monitor, installation or sampling
16 phase."

17 My question is in light of the fact that she has, as we
18 have discussed; 50 examples, duplicate results, your results
19 showing 30. metres. I suggest the tritium shows that this
20 would be the result of a very complex fracture network?

21 A. Certainly there are complexities
22 to fracture systems. Mr. Feenstra I hope will be
23 addressing some of this in more detail. I may be wrong
24 but Hewetson had indicated that her tritium results
25 indicated that. We found a more traditional type of a



1 curve than she did. I am not discarding her data or
2 anything like that. There are complexities in shale,
3 there is no question about that.

4 Q. But you had done a limited sample,
5 a tritium sample?

6 A. We did it because of the complexity
7 of the results that were obtained by Hewetson. Now,
8 when you run your own tests and you find a more classical
9 type of a curve it leaves you in a bit of a quandary as
10 to what the original results meant. When we say, well
11 it has no tritium in it all and you've only got an
12 upward gradient. You've got locally tight rock which can
13 happen. The other one says that it is a nice, smooth
14 curve, declining with depth. We've got a series of
15 tests that were done in wells, they were done differently,
16 they were done for the permeable zones and we have come
17 up with sort of a classical curve. Then you say the
18 Hewetson data is bouncing all over the place and we're
19 not sure why. Is it because of the complexities, is it
20 because of the construction of the wells? I'm not sure.

21 Q. Again we can discuss ...

22 A. I'm not arguing that fractured
23 rock can have complexities in the flow system. The
24 saving grace on the site is the delineation of the flow
25 system southwards, you know where the water is going to



1 have to move. It can't move up onto the Niagara
2 Escarpment.

3 Q. Mr. Sobanski, you have already
4 mentioned porosities. As we have discussed, your flow
5 velocity equation looks at both your permeability and
6 gradient divided by porosity?

7 A. Yes.

8 Q. As we have stated, I guess the
9 smaller the porosity, the faster the flow?

10 A. Right.

11 Q. We see on page 97 your effective
12 porosities. This is in your report, H-40 and the
13 values range from 0.1 to 0.001.

14 A. Yes.

15 Q. Considering that variability can
16 have a large effect on flow velocities, my question is,
17 how were your porosity numbers determined?

18 A. We have been through this several
19 times but they are estimates. They are estimates,
20 nothing more than that. We don't have any data to base
21 exactly what that fracture porosity is. It fits
22 reasonable well with what we are seeing in the Hewetson
23 data, the velocities of our contaminant transport model
24 are reasonable with respect to that model. Where I
25 explained that in weakly-fractured shale, I felt that



1 because we were seeing so few fractures in that material
2 that for all intents and purposes I chose to treat it
3 as though we were using nearly a matrix porosity. It
4 isn't a matrix porosity, using matrix porosity
5 it would have been somewhat
6 higher than that but it is pretty well my decision to
7 say that we would use in that zone a relatively high
8 porosity value, although it may have some fractures.
9 There were so few fractures in it that I did not feel
10 it was too important because the flux through the few
11 that there may be should not be large.

11 Q. Mr. Sobanski, did you consider
12 using, for example, the method proposed by Snow to
13 determine the fracture porosity in a more rigorous
14 way rather than just doing an estimate?

15 A. I am not sure that Snow is rigorous.
16 I advised the Board that I really haven't used the
17 method. You come backwards at a fracture aperture and
18 I couldn't apprise the Board of whether or not it was a
19 good method or not. I have not used it personally.

20 Q. You have not used it although the
21 method has been around?

22 A. That's what I said to the Board, we
23 have not used it.

24 Q. Okay. Now, your weakly-fractured
25 unit which we have said is your least permeable shale



1 unit has your largest assumed porosity. The highly-
2 fractured unit has a much higher permeability, yet a
3 much lower porosity. Now, if the porosity of the
4 weakly-fractured shale is much lower than assumed,
5 wouldn't this increase, an increase in flow velocity?

6 A. I think I just explained that on
7 why I did it but, yes, if you increase or if you decrease
8 the effective porosity you would increase the velocity.

9 Q. Now, Mr. Sobanski, I have referred
10 you earlier or gave you earlier this week a paper from
11 the Technology Transfer Conference on the evaluation
12 of contaminant velocity in low permeability fractured
13 shale.

14 Mr. Sobanski, first of all, I would ask
15 if you have had a chance to take a look at that paper?

16 MR. SOBANSKI: A. Yes, I have.

17 Q. Are you familiar with the three
18 authors of the paper, Mr. Blackport, Hydrogeologist?

19 A. No, I am not. I know his name.

20 Q. Mr. Sudicky I believe who helped
21 you on your model?

22 A. I haven't met Dr. Sudicky but I
23 know his name as well.

24 Q. And Dr. John Cherry who we all
25 know?



1 MR. LEDERER: Who we feel we all know!

2 MS VIGOD: Q. Again, this is a paper
3 given at the Technology Transfer Conference in 1986.
4 I would ask you to look at the -- first of all, the last
5 paragraph on page 339 and 340.

6 DR. KINGHAM: Do you wish to enter this
7 as an exhibit then? WB-226.

8 MR. LEDERER: If nothing else it is a
9 matter of formality for the record. Perhaps someone
10 could explain to us what the Technology Transfer
11 Conference is. At the moment this is just a paper.
12 It is a paper which was a proceeding of that conference
13 by people whose names Mr. Sobanski recognizes, who we all
14 recognize one name. We've got to have a little more.

15 --- EXHIBIT NO. WB-226: Excerpt from paper entitled
16 "Proceedings Technology Transfer
17 Conference, December 8 & 9,
18 1986" by R. Blackport, E.A.
19 Sudicky and J.A. Cherry

20 MS VIGOD: Q. Mr. Sobanski, are you
21 familiar with these Technology Transfer Conferences
22 that are held every year under the auspices of the
23 Ministry of the Environment?

24 MR. SOBANSKI: A. Yes, I am.

25 Q. In fact you receive the proceedings
of these conferences from time to time?

A. Yes, from time to time.



1 Q. All right. If we turn then to
2 page 339, just reading from that paragraph:

3 "One of the most important steps in the
4 prediction of the extent to which ground-
5 water contamination will occur at
6 municipal landfills and at other waste
7 disposal sites is the determination of the
8 average velocity of non-reactive contami-
9 nant migration in groundwater. In our
10 investigations of groundwater contamina-
11 tion, we have found that the greatest
12 difficulties and uncertainties in conta-
13 minant velocity measurements and predic-
14 tions occur at sites on fractured bedrock.
15 For example, hydrogeologic investigations
16 performed on the Queenston shale at
17 Bayview Park landfill site have shown
18 that this shale has a relatively low
19 apparent hydraulic conductivity (i.e. low
20 permeability) except at very shallow
21 depth where weathering is an obvious cause
22 of higher permeability. This finding of
23 generally low permeability is consistent
24 with previous studies of this shale in
25 the Burlington-Hamilton area. Our



1 investigations of the Bayview Park site
2 have also shown, although not in an
3 entirely conclusive manner, that the
4 velocity of migration of non-reactive
5 contaminants in this low-permeability
6 shale is relatively large. This leads to
7 the expectation that very large contami-
8 nant plumes can develop in fractured
9 shale under conditions of relatively low
10 contaminant mass flux through the shale."

11 Mr. Sobanski, can you comment on that paragraph?

12 MR. LEDERER: Just a minute. Now we have
13 a proceedings of something, I gather it is actually
14 something that Mr. Tidball can confirm this, it is a
15 conference put on each year by the Ministry of the
16 Environment and is conducted by them for people who
17 carry on Ministry of the Environment funded research.
18 Now we have a general comment about some of that research
19 without any indication as to the nature of the tests,
20 the kind of data that was relied on and we are going to
21 have Mr. Sobanski comment on it. With the greatest of
22 respect, I am not sure at this point that this should
23 have been admitted as an exhibit at all. It's here now
24 and my argument at the end of the day is it's going to
25 have to be given relatively little weight. It is just a



1 statement. I don't think it is proper to ask Mr. Sobanski
2 to comment on a statement.

3 MS VIGOD: Q. Mr. Sobanski, this relates
4 to the Queenston shale on the Bayview Park site which
5 we have been looking at; is that correct?
6

7 MR. LEDERER: If it relates to Bayview
8 Park at all, our investigation of the
9 Bayview Park. What is that? What are we talking about?

10 MR. SOBANSKI: I have a couple of
11 problems here with that whole thing. First of all it
12 says "at sites on fractured bedrock." "Sites", I don't
13 know what they are referring to as "sites." Because
14 now they refer to Bayview Park which is a site. Now,
15 which sites is he referring to? He says he is looking
16 at more than one. So, I don't know what his experience
17 is based on, number one.

18 Number two, he says that the shale has
19 an apparently low hydraulic conductivity except at very
20 shallow depth. I disagree with him entirely on that
21 statement because we have proved that at depth there are
22 permeable zones. So he is wrong on that statement.

23 He has shown, not in an entirely conclu-
24 sive manner, that the velocity of migration is relatively
25 large. I would say that the chemistry doesn't lead to



1 that conclusion. The chemistry that we have looked at
2 previously and Mr. Feenstra will talk to that in more
3 detail has not demonstrated to my satisfaction that we
4 have an abnormally large plume considering that the
5 site has been going for over 30 years at Bayview Park.

6 MR. LEDERER: Could I also -- again I
7 must try and add some substance to my objection to all
8 of this.

9 DR. KINGHAM: We did note your objection
10 and we do understand the point you are making about
11 the weight that might be given to an exhibit where we
12 have not had the opportunity to examine or cross-examine
13 personally.

14 MR. LEDERER: If I may just point out to
15 you, sir, that on the top of page 341 under the heading
16 "Study Site" we have a statement here:

17 "A site on Petro-Canada property in
18 Clarkson, Ontario was selected and a pre-
19 liminary phase of drilling and instrumen-
20 tation has been performed."

21 On that score, that is completely the nature of my
22 objection. We don't know what we're talking about.
23 Mr. Hodgson points out that the next statement indicates
24 that this isn't on Queenston shale at all but on Dundas
25 shale.



1 MS VIGOD: Q. Mr. Sobanski, the passage
2 I referred you to on page 339 respectively refers to
3 investigations performed on Queenston shale. My
4 question is: Mr. Sudicky, one of the authors of this
5 report, who assisted you with your modelling work came
6 to this conclusion. I was wondering, had you had any
7 discussions with him as to his conclusions.

8 MR. SOBANSKI: A. Dr. Sudicky did not
9 review our final report. We discussed it with him as
10 he went. He did not know the final calibration to my
11 knowledge.

12 Q. Do you know whether he then accepts
13 your model and the results?

14 A. No, I don't.

15 Q. Did you have him review that?

16 A. No, we did not.

17 MR. ESTRIN: Mr. Chairman, I also wish
18 to rise with respect to supporting Mr. Lederer's
19 objection because there is no evidence as to what
20 investigations, how Bayview Park, by which, if any, of
21 these authors has been done at any point in time. I
22 have done, in preparation for this hearing, I have tried
23 to make up a reasonably extensive review of pertinent
24 literature. I am not aware that Dr. Sudicky or Ray
25 Blackport have themselves made any investigations at



1 Bayview Park. The only inference I can draw is that
2 this is something that Dr. Cherry may have had some
3 connection with and in fact his investigations, if any,
4 were largely I believe ones that Betty Hewetson carried
5 out and so we are probably getting a very indirect link
6 back to something that perhaps Ms Hewetson did and
7 perhaps Dr. Cherry didn't have a great deal to do with
8 it, if anything at all, personally in the field.

9 So, I really wonder and I have to share
10 Mr. Lederer's objection. At this point I'd be very,
11 very, very cautious having admitted this document and
12 I take it it has been admitted, as to putting any
13 reliance whatsoever on such statements as "Our investi-
14 gations of Bayview Park ..." have shown anything because
15 until we hear some direct evidence that Dr. Cherry,
16 Sudicky or Ray Blackport have made an investigation or
17 what they are, I don't think the Board should even look
18 at that.

19 DR. KINGHAM: We note your objection and
20 that of Mr. Lederer. We had already decided to admit
21 this as an exhibit and we made the observation with
22 respect to the weight that we can give it in the absence
23 of the authors in terms of examination, cross-examination.

24 MR. ESTRIN: I think it is perfectly
25 proper for my friend over here to ask the witness about



1 statements that other people have made but the Board
2 clearly understands that -- as to whether or not he can
3 agree with the statement, the stuff that happens to be
4 in here that purports to relate to an aspect of the
5 problem of which there is no evidence.

6 MS VIGOD: Q. Mr. Sobanski, as you are
7 aware, the rest of the report deals generally in a more
8 theoretical manner with the issue of porosity and if we
9 just -- I would just like to return to the concluding
10 remarks found at page 348, 348 in this exhibit, WB-226.
11 The statement that:

12 "The manner in which contaminant veloci-
13 ties are currently predicted in shale is
14 close to guess-work."

15 I guess my question to you is do you agree with that
16 statement?

17 MR. SOBANSKI: A. They go back on page
18 345 to also say:

19 "...there are no generally-accepted
20 methods for determining values of n."

21 Do I agree if it's guesswork, yes, to some degree I do.
22 I hope that when I do it is called educated guesswork.

23 Q. So I guess as we have discussed
24 and I think you did mention this briefly, the porosity
25 number which of course affects that equation that you



1 have given estimates on is a number that does have a
2 certain amount of variability?

3 A. Yes, we have discussed this ad
4 nauseam I think. I still am not satisfied in some
5 regards on the whole issue because we can have very
6 small, effective porosities and in fact be losing very
7 small amounts of fluids like a fracture that may be so
8 fine that a cupful could traverse a hundred metres in a
9 very short period of time and yet the amount of leachate
10 escaping from the site would be very, very small. I
11 would like to see the issue examined from a point of
12 view of flux as opposed entirely just to concentrations.
13 I have looked at this and I would like to say that the
14 methods that are being utilized on this site are very
15 similar to those that we instituted for Site F. I felt
16 somewhat gratified and hoped that they were employing
17 some of our techniques. They have changed their well
18 construction.

19 Q. Mr. Sobanski, I am going to be
20 moving on to a new topic. Perhaps, Mr. Chairman, we
21 could take our afternoon break.

22 DR. KINGHAM: We will take a 15-minute
23 break.

24 --- Recess

25 DR. KINGHAM: Thank you. Please be



1 seated. Ms Vigod?

2 MS VIGOD: Thank you, Mr. Chairman.

3 Actually I am reminded, I think this would be an appro-
4 priate time if we could just deal briefly with those
5 undertakings from yesterday before I leave today.

6 Q. Mr. Beechinor, I believe first of
7 all you were going to get us a copy of those logs for
8 the test pits. Do you have those?

9 MR. BEECHINOR: A. Yes, I do. They are
10 here. I will have to get them. We had better hold on
11 for a moment here.

12 MR. ESTRIN: I was also interested in
13 those and I told Mr. Lederer that they were available
14 and he would make arrangements to make copies this after-
15 noon and we will all have them.

16 MS VIGOD: Q. The next undertaking was
17 to confirm whether there was a native till or sand and
18 gravel in the well construction.

19 MR. BEECHINOR: A. I checked the original
20 well construction logs that our geologist prepared last
21 night. We find that around the well screens silica sand
22 was used. Between the bentonite seals we used a medium
23 sand obtained from a local sand and gravel distributor.
24 That is the reference to native backfill.

25 Q. So it's not native from the site?



1 A. If you recall we are quarrying rock
2 here so we are in fact taking away the samples so there
3 was no native cuttings to put back into the core hole.

4 Q. Then you were going to confirm
5 that the thickness of the seals actually used were in
6 the range of 0.6 to 4.0 with most less than the 1.8-metre
7 range?

8 A. I can confirm we checked the 1985
9 wells and 1986 wells and the range of the bentonite
10 seals I came up with was 0.7 to 4.0 metres, average
11 about 2 metres.

12 Q. That's fine. The last question,
13 undertaking I believe was in regard to the accuracy of
14 the Neptune meter.

15 A. Yes. I did call Mr. Policy of
16 All Terrain Limited to ascertain what the accuracy of
17 that instrument was. He indicated to me that that is
18 -- that the Neptune instrument was obtained from the
19 City of Waterloo. That is the same instrument he uses
20 for all the hydrogeologic consultants for this purpose.
21 The accuracy is down to the litre. You can measure the
22 litre on the gauge and you can interpolate to the 0.5
23 litre between the increments.

24 Q. That is what our understanding was
25 and I may have a question on that later but that is



1 confirmed now?

2 A. Right.

3 Q. Now, I would like to turn to the
4 area of your computer modelling and my understanding is
5 that it was calibrated to fit the water levels observed
6 in the field and I think we have heard that the distinct
7 changes in water level, the large head drops over short
8 distances which helped you to put together your configu-
9 ration of the model; is that fair?

10 MR. SOBANSKI: A. No.

11 Q. No? Okay.

12 A. At least I don't think I heard that
13 right.

14 Q. That your model was calibrated?

15 A. The model was used to generate heads
16 and compare them to the field data once we had developed
17 our hydrostratigraphic model.

18 Q. In your opinion, the general
19 character of the flow system, in other words the area
20 of recharge, discharge and lateral flow is represented
21 accurately by the model?

22 A. I don't know that I would say it
23 is exactly accurate. We have exhibited downward
24 gradients where there are downward gradients and lateral
25 gradients where there are lateral gradients. We did not



1 demonstrate in the field the upward gradients of the
2 discharge zones. We have had to infer that indirectly.

3 Q. I guess I would like to just
4 explore that a bit further. If we look at the water
5 level data in Appendix 5 in H-40A, I would just like to
6 look at your ...

7 A. Appendix 5 in H-40A?

8 Q. It is the second page. Do you have
9 that?

10 A. Just give me a moment, please.
11 Yes, I have.

12 Q. If we look at the water levels in
13 HC-11 you would see that the deep piezometer is about
14 92.09 and the water level in the shallow piezometer ...

15 A. Could you just hold on a second,
16 please? HC-11?

17 Q. Yes.

18 A. Yes.

19 Q. The water level in the deep piezo-
20 meter is about 92.09 metres and the water level in the
21 shallow piezometer is about 89.48 metres. You would
22 confirm that that is -- indicates an upward gradient at
23 that well?

24 A. At HC-11? Yes, that would indi-
25 cate a slight upward gradient in that location.



1 Q. In your Figure 6 on page 62, your
2 model, page 62 of H-40 ...

3 A. Yes.

4 Q. ... would it be fair to say that
5 you predict the water level in the vicinity of HC-11 at
6 89? Actually, Mr. Sobanski, I think I can be of a little
7 more assistance. , If we look at your H-22, your model
8 where we now have these calibrated ...

9 DR. KINGHAM: Is that H-22?

10 MS VIGOD: I'm sorry, H-221.

11 Q. We can still keep our hand on the
12 computer simulation so we can see where those wells are
13 located.

14 DR. KINGHAM: Being page 62 of H-40?

15 MR. SOBANSKI: If I can just have a moment.
16 We're in a dreadful mess on this table. Do you have an
17 extra copy?

18 MS VIGOD: Mr. Lederer, Exhibit H-221.
19 The problem is we have bits of information all over the
20 place.

21 Q. We see there actually your cali-
22 brated model which we have heard you say, that is the
23 model that is in the book in H-40; do you see that
24 column? I am looking at your second page, the flow
25 model.



1 MR. SOBANSKI: A. Yes.

2 Q. We see there the actual calibrated
3 results for the model in H-40. Is that third column the
4 calibrated model?

5 A. Yes.

6 Q. If we look down to HC-11, we see
7 89.48?

8 A. Yes, that's right.

9 Q. Then that predicts a water --
10 basically a lateral flow at that point?

11 A. Yes, it does.

12 Q. The field data shows an upward
13 gradient?

14 A. Yes, a slight upward gradient.

15 Q. Again, if we look at HC-14 which
16 is -- again, if you look at Appendix 5 in H-40A ...

17 A. Yes.

18 Q. Can you confirm that at that
19 piezometer that there is in fact a downward gradient?

20 A. Yes, both in the field and in the
21 calibrated model.

22 MR. LEDERER: Which number is that?

23 MR. SOBANSKI: HC-14.

24 MS VIGOD: Q. And in HC-15, we also see
25 a downward gradient?



1 DR. KINGHAM: Was that HC-15?

2 MS VIGOD: HC-15.

3 MR. SOBANSKI: Yes.

4 MS VIGOD: Q. And in HC-9, we also see
5 a downward gradient?

6 MR. SOBANSKI: A. It is very flat in
7 the upper three piezometers. It is essentially lateral
8 in the upper ones and then there is a small drop in
9 between piezometer 2 and piezometer 1.

10 Q. All right. Now, in our discussion
11 of the discharge zone, this zone is shown both on, I
12 guess Figure 6 and as well we have your configuration
13 found in the CELA interrogatories, Exhibit H-85. That
14 is the very last page of the interrogatory. Do you see
15 that?

16 A. Yes, I do.

17 Q. It appears to us that you have
18 estimated this zone to be about 500 metres; is that
19 about right, the discharge zone?

20 A. We have put in -- it was something
21 in that order.

22 DR. KINGHAM: Would you repeat the number?
23 It is estimated to be ...

24 MS VIGOD: ... 500 metres.

25 DR. KINGHAM: Five hundred metres long



1 deep, left to right?

2 MR. SOBANSKI: That would be 500 metres
3 wide I believe.

4 MS VIGOD: Q. Now, if we looked at those
5 three boreholes we were just discussing with the downward
6 flow, could you confirm that there indicates that there
7 is downward flow between the 403 and the railroad tracks
8 and this in fact is the area you have indicated both as
9 a discharge zone on the model and on the interrogatories?

10 MR. SOBANSKI: A. No, these wells that
11 you have just discussed are just essentially south of
12 Highway 403, where we have a nearly lateral flow, if
13 we look back at HC-15.

14 Q. I believe we just confirmed that
15 HC-15 was a downward gradient.

16 A. Just slightly downward between the
17 water table and the third piezometer, piezometer 3. If
18 you look from piezometer 3 to piezometer 2 or piezometer
19 1, we go down in order; 109.99, 109.42, 109.35. That is
20 nearly horizontal flow. It is only slightly downward.

21 Q. Mr. Sobanski, could you point
22 those piezometers out to the Board on Figure 2? I
23 believe it is Drawing 2 under there. I believe it is
24 under your 220. Mr. Sobanski, would you agree that,
25 for example, HC-9 would be right in that -- appears to



1 be in your discharge zone, as marked on the interroga-
2 tory?

3 A. Approximately. This isn't exact,
4 it is just an illustration that says general configura-
5 tion of discharge zone.

6 Q. Generally also in HC-15 and 14
7 which runs basically in the same line as HC-9 would again
8 be in that general area?

9 A. Yes, just on the edge of it.

10 Q. Now, Mr. Sobanski, is it fair to
11 say that we don't have any field evidence of an
12 upward gradient in this area? We either see a slight
13 downward or a lateral? We don't see any evidence of
14 an upward gradient?

15 A. We have the indirect evidence of
16 the swampy area and the conductivity that I mentioned.

17 Q. Not in the piezometers?

18 A. Let me finish. We have other
19 information that I advised the Chairman of when I came
20 back from my field trip. Certainly when I visited it in
21 December, a year or so ago, there was evidence of a lot
22 of discharge. When I went back on Father's Day there
23 was not much evidence of continuous discharge of 28
24 cubic metres per year per metre. So there was indication
25 from that that if the discharge zone is there, it isn't



1 as strong as indicated by this model.

2 Q. Mr. Sobanski, for the field data
3 that we do have in the piezometers, does this indicate...

4 A. From the piezometers, no, that is
5 right.

6 Q. We have already discussed the fact
7 that we have seen a discharge gradient in the vicinity
8 of HC-11. Could you point out HC-11 for the Board?

9 A. HC-11 is located down by the golf
10 course, on the north end of the golf course which would
11 be something in the order of 1.1, 1.6 kilometres from
12 the landfill.

13 Q. That of course is south of your
14 railway track?

15 A. Yes.

16 Q. Again, if we look at HC-12 in
17 Appendix 5, can we again confirm that the vertical
18 gradient is also upwards?

19 A. Not quite. To some degree. The
20 upper two are horizontal essentially. The lower one has
21 a slight upward gradient. It is half a metre in 20
22 metres.

23 Q. Again, with these two findings of
24 a slight upward gradient in this area, might we conclude
25 that the discharge zone might extend further south?



1 A. Possibly. There is some discharge
2 indicated as potentially occurring in those areas.

3 Q. In fact then where we really don't
4 have much hard data in the piezometer data to substan-
5 tiate the location and extent of your discharge zone as
6 we have discussed, we have seen some downward gradients
7 in the area you describe as discharge and we've seen some
8 upward discharge gradients in an area to the south into
9 more of the community area?

10 A. Well, we are getting closer to the
11 lake so we expect the flow system to start to do a turn-
12 around. We are seeing the effects of the regional
13 gradients in that area. It is still essentially horizon-
14 tal with some small upward gradients but we are now
15 looking at the regional system. What we have seen is
16 the wedge of rock that is being compressed -- "compressed"
17 isn't the right word. It's being thinned as we go further
18 south so water is sort of piling up within the unit and
19 some of it is trying to come out. We would expect that
20 in the regional system.

21 Q. I would like to move on to another
22 topic. We have talked about your pathways for leachate
23 leaving the landfill and we have seen -- okay, we have
24 also seen an indication that your weakly-fractured
25 massive shale is your dominant unit which controls



1 migration. Now, I would like to discuss your leachate
2 underdrain system. If you look at page 127 of H-40 and
3 we have discussed your infiltration rate of 305 milli-
4 metres per year and we have discussed the quantity of
5 leachate exfiltrating the site would be approximately
6 between 13.7 and 22.6 millimetres per year. You find
7 those figures on page 127,

8 A. Yes.

9 Q. The difference between these
10 figures, your 305 millimetres and your exfiltration,
11 your 13.7 millimetres and 22.6 is about 291.3 to 284.4
12 millimetres of leachate; correct?

13 A. In that order.

14 Q. That would be about 93 ...

15 A. The last number you gave me?

16 Q. Two eighty ...

17 A. It should be 282.4.

18 Q. That's right, 282.4. That is what
19 I have. You would agree that those figures are within
20 your range of your 93 to 96 per cent of the total infil-
21 tration?

22 A. Yes, that's right.

23 Q. It is then suggested, that is
24 without an underdrain system in place?

25 A. That is with the underdrain system



1 in place because it says "the resultant capture efficiency
2 of that system" is so much.

3 Q. Then I refer you back to page 74.
4 Here you have indicated -- on page 74 you have indicated
5 that the downward flow for recharge underneath the site,
6 under current conditions, that is without the landfill,
7 is about 13.7 to 22.5 millimetres?

8 A. Yes.

9 Q. Those figures are essentially the
10 same as the 13.7 to 22.6?

11 A. I think they are probably the same
12 number. I have tried to undertake to find out why there was a
13 difference but I think they are just using a range of
14 values that were calculated by the two methods.

15 Q. Am I correct then that it appears
16 that under natural conditions the recharge rate is the
17 same which occurs when the leachate drains are installed?

18 A. Yes.

19 Q. Therefore, the drains don't alter
20 the recharge rate beneath the landfill? In other words,
21 the capture efficiency of the drains is really actually
22 close to zero?

23 A. No. No, the capture efficiency
24 of the drains is still very high. It doesn't stop the
25 groundwater component but it picks up all of the



1 components that would have gone off as runoff and toe
2 discharge.

3 Q. This is my understanding, that
4 basically those drains are catching what would otherwise
5 run off to the side?

6 A. That's right.

7 Q. The actual capture efficiency of
8 what would normally recharge into the ground is in effect
9 zero?

10 A. That's right.

11 Q. I had a very difficult time ...

12 A. That's why I say we can't overcome
13 those vertical gradients at the site. By digging the site
14 deeper you chase the water to the water levels.

15 Q. Then comparing D and F on this
16 point ...

17 A. D and F?

18 Q. Sites D and F. Site F in terms
19 of the recharge, the underdrains are zero per cent
20 efficient while at D with the operation of a hydraulic
21 trap, we have a possibility of 100 per cent efficiency
22 in terms of capture?

23 A. In terms of groundwater? In terms
24 of groundwater, yes, that is right.

25 Q. Now, in terms -- back to Site F.



Nethercut & Co. Ltd.

Toronto, Ontario

8671

Sobanski, Beechinor,
cr-ex (Vigod)

1 In terms of the true efficiency of the drains we are
2 really looking at this excess leachate and looking at
3 aspects of mounding and various other operational
4 factors?

5 A. Yes, it is still the efficiency
6 of the tills. They are capturing, still, a great deal
7 of leachate.

8 Q. But they may not be up to 93 to 96
9 per cent efficiency in terms of some of those other factors?

10
11 A. I'm sorry, I don't understand
12 that.

13 Q. That some of the leachate may have
14 to be collected by perimeter drains, the underdrains
15 wouldn't necessarily capture that high percentage?

16 A. We're talking about the total
17 system capturing something in the order of 93 to 96
18 per cent of the leachate that will be generated at the
19 site. Some will escape to the groundwater flow
20 system and we can't stop that.

21 Q. Is that correct that 93 to 96
22 per cent is how much is available to capture that much;
23 right?

24 A. I'm having a little trouble.

25 Q. Okay. That is the amount we have



1 discussed that doesn't get into the water system and
2 would be available for those drains to collect?

3 A. That is the amount that doesn't
4 get into the groundwater system, yes.

5 Q. Now, you considered the use of a
6 liner to reduce the volume of leachate which would enter
7 the groundwater system?

8 A. Yes.

9 Q. I believe this is discussed on
10 pages 130 and 131 of H-40 and your conclusion is that
11 the natural rate of leakage beneath the site is about
12 10,000 cubic litres a year. Is that correct?

13 A. That is what that number says.

14 Q. Actually we were trying to con-
15 ceptualize what this looked like and I hate to use a
16 baseball analogy now but ...

17 A. Why not?

18 Q. ... would this be about the length
19 and width of the baseball field at the CNE filled with
20 leachate to George Bell's waist?

21 DR. KINGHAM: Are we going to have
22 evidence on the height of George Bell?

23 MS VIGOD: Q. Let's say one metre.

24 MR. SOBANSKI: A. I have no idea.

25 Q. Now, you ...



1 A. We had tanker trucks the other
2 day, I understood those.

3 Q. The idea of a clay liner of one-
4 metre thickness, I believe you stated that that would
5 reduce that rate to about 4,400 cubic metres per year?

6 A. I have to read this.

7 Q. That is page 130.

8 A. Just give me -- page 130?

9 Q. Page 132.

10 A. Just give me a second to read this
11 over. Yes, I have re-read it now.

12 Q. Perhaps -- could I just go back
13 one minute and perhaps you could just indicate to us
14 how you did get the 10,000 cubic metres a year.

15 A. You would have to count up I
16 believe the flow tubes on the site itself, divide by
17 the site length or rather multiply by the site width.

18 Q. So you are saying with a liner
19 you would cut that leakage by about half?

20 A. Yes.

21 Q. You say the reason the liner
22 doesn't cause a larger reduction of the leakage rate is
23 that the rate of leakage, the leachate migration out of
24 the base of the landfill is controlled by the low per-
25 meability of the weakly-fractured massive shale unit?



1 A. No. Come back to that one again.

2 It says here:

3 "The difference in capture efficiency
4 between 10^{-7} and 10^{-8} centimetres per
5 second liners is only about 50 per cent
6 because the 10^{-7} centimetres confining
7 layer acts to underdrain the 10^{-8} centi-
8 metres liner."

9 Q. If we look back to page 131, the
10 second paragraph, it says here, the first sentence:

11 "The rate of exfiltration to the inter-
12 mediate depth flow system in the highly-
13 fractured shale unit is controlled by the
14 overlying weakly-fractured massive shale
15 unit which has a hydraulic conductivity
16 of about 10^{-7} cm/s."

17 A. That's right.

18 Q. So the permeability of this unit
19 that has this influence...

20 A. It turns around when you put a
21 tight layer on top of 10^{-7} , the whole system flip-flops.
22 In other words, in its natural condition it is acting
23 as a natural liner.

24 Q. That's right.

25 A. Put a tight liner on top of it and



1 it acts as an underdrain.

2 Q. That's fine but my question though
3 is if the permeability of this weakly-fractured unit was
4 not 10^{-7} but, for example 10^{-6} , then the leakage rate
5 would also be about ten times higher. So we would have
6 this 100,000 cubic metres, we would be over George Bell's
7 head.

8 A. Way over. If that layer were 10^{-6}
9 by all means we would have -- we would be moving ten
10 times as much water. We would -- we could also be
11 seeing tremendous velocities to the property boundary
12 and I don't believe that those are demonstrated by
13 the chemistry at the site.

14 Q. But let us look at how you -- I
15 would like to just look briefly at how you determined
16 that 10^{-7} permeability which is certainly key.

17 A. I have advised the Board. It was
18 estimated, that was the best we could do with it to
19 simulate the conditions in the model.

20 Q. But first of all we have had some
21 discussion about the terms of the fact that the actual
22 unit measured was thinner than the thickness you used in
23 your model and I won't go into that again.

24 A. At some locations it is thinner.

25 Q. All right. Now, if we want to



1 assume, let us assume for the moment that your unit
2 does occur between your 105 and 125-metre elevation,
3 that would be your 20-metre unit.

4 A. Yes.

5 Q. On page 52 of your report, Exhibit
6 H-40, you have indicated at the top of the page:

7 "The weakly-fractured massive shale unit
8 is a complex unit in that it occurs
9 throughout the investigated shale sequence
10 and exhibits variable, but generally low
11 hydraulic conductivities."

12 You say that 10^{-7} is considered to be conservative but
13 representative. Now, I would like to look at your per-
14 meability data in Exhibit 11 in H-40A. -- Appendix 11,
15 I am sorry. We are just looking -- if we can look
16 through boreholes 1 to 8 which are either within or
17 immediately adjacent to the proposed landfill area...

18 A. Could you direct me again to the
19 appendix, please?

20 Q. Appendix 11.

21 A. Yes.

22 Q. You would agree with me that bore-
23 holes 1 to 8 are the boreholes within or adjacent to
24 the proposed landfill? After that we are off further
25 south of the landfill?



Nethercut & Co. Ltd.

Toronto, Ontario

8677

Sobanski, Beechinor,
cr-ex (Vigod)

1 A. That's right.

2 Q. At 1 to 8.

3 A. Yes.

4 Q. You can see there are a total of
5 23 packer and rising head tests conducted in these bore-
6 holes ...

7 A. Yes.

8 Q. ... between the 105, 125-metre
9 elevation range?

10 A. I am not sure exactly how many
11 there are but in which range again, please?

12 Q. The 105 to 125-metre range.

13 A. How many did you say?

14 Q. Twenty-three packer and rising
15 head tests.

16 A. I can't convert that immediately
17 without going through the whole table.

18 Q. Can we just check them off quickly?

19 DR. KINGHAM: Your limits were 105 to 125?

20 MS VIGOD: One-0-five to 125.

21 Q. Start at HC-3-5.

22 MR. SOBANSKI: A. If I could just have
23 one moment, please. Starting at HC-3, I think we would
24 be closer to say it is between 110, it is dipping,
25 actually. It is changing. You would have to look at



1 the individual logs. It is not good enough to say that
2 because you lose nearly five metres or more going across
3 the section in terms of elevation. I can't accept that
4 as the criterion. I would have to work them out.

5 Q. Mr. Sobanski, where in the indivi-
6 dual logs do we get an indication of where this unit
7 occurs?

8 A. I'm sorry?

9 Q. Where in the logs you just referred
10 to do we get an indication of where this unit occurs?
11 We are using figures that we thought were established
12 along the way here.

13 A. It turns back to Mr. Beechinor
14 again but we have talked about Exhibit H-220 which is
15 the interpretation. What I am saying is you can't just
16 generalize and say "Well, Mr. Sobanski, taking anything
17 from 125" because as soon as I get over as far as No. 7
18 I am at 120. It is dipping, so I can't accept your
19 premise that it occurs on this drawing between 105 and
20 125. I also know that when we get over to the pumping
21 test it is occurring at an elevation of about 100. So
22 it is not good enough.

23 Q. Well, Mr. Sobanski, what I am
24 trying to do is get an understanding of how you developed
25 this figure of 10^{-7} for that unit. I think the Board...



1 A. That's fine, we can do that but
2 I can't accept that premise to develop it.

3 Q. Do you want to start with 110 to
4 125?

5 A. I can't accept anything. We would
6 have to work through the logs and see which ones are in
7 the unit. Before you start it though keep in mind we
8 have said over and over again, the zones that we instru-
9 mented were those with the high permeability in all
10 cases. We did not instrument the solid rock. In every
11 case where we instrumented we looked for fractures, we
12 looked for mud and that's what we instrument. So we
13 instrumented the permeability.

14 Q. Mr. Sobanski, then how do we --
15 we have a lot of data here. We have this Appendix 11.
16 There is a lot of information on rising head and packer
17 tests, tests done in the field. Certainly my look at
18 these permeabilities suggests a more permeable zone
19 somewhere in the range of 10^{-5} to 10^{-6} .

20 A. In terms of those tests we had
21 some Hewetson data that said there was very low per-
22 meabilities in the solid rock and we tried it. We had
23 our own packer tests which didn't take any water which
24 was very low permeability, in the order of 10^{-8} . I
25 advised the Board this zone gave us a lot of problems



1 and we relied on the model to give us an average value
2 when it simulated the results. We used about 10^{-7} .
3 We could not obtain from our data base the permeability
4 of that zone because it was too variable. We have gone
5 through that about two or three times.

6 Q. So it is too variable and you
7 couldn't use this field data to get a permeability?

8 A. That's right because we were
9 dealing with some tests, because we instrumented the
10 permeable zones, we are dealing with 10^{-5} , 10^{-6} . We
11 were getting results from packers that were essentially
12 zero. That is a big range.

13 Q. Mr. Sobanski ...

14 A. We simulated this with other types.
15 In the model we simulated things like 10^{-8} layer and
16 it doesn't give us as good a fit as a 10^{-7} layer.

17 Q. Mr. Sobanski, could you look at
18 H-220 and could you take -- let us just do one borehole,
19 HC-3, and can we look at your unit 3 and determine how
20 we can get a permeability of 10^{-7} out of those alter-
21 nating pink and yellow zones that I see there?

22 A. I don't understand this because
23 I have told you the answer to your question already that
24 the value is assumed. You can go through these one at
25 a time but I've told you we have instrumented the



1 permeable zones.

2 Q. My question, Mr. Sobanski, is you
3 have placed a lot of reliance on this zone. This is the
4 barrier to the recharge getting through.

5 A. You can look at it in the logs and
6 see it. You can see it in the colours.

7 Q. You have no indication.

8 A. Yes, you do, you see the cores.
9 You can see the rock that is solid.

10 Q. We have a lot of other information
11 that you say we shouldn't take into account these rising
12 head and packers?

13 A. We have taken into account, that's
14 what I'm telling you but the zone is highly variable.
15 We instrumented the permeable parts. Where we used
16 packer tests in the harder zones we got no permeability.

17 Q. Mr. Sobanski, how did the tritium
18 get through then?

19 A. Tritium can get through cracks in
20 the material. There is some vertical communication we
21 have talked about. At 10^{-7} it can find its way through
22 with fracture porosities.

23 Q. What I get out of this is that we
24 have seen no field data in the rising head or packer
25 tests that lead you to this 10^{-7} . The tritium results



1 show that the tritium is moving through. You have
2 estimated this 10^{-7} , calling it conservative but in fact
3 if we have even one order of permeability different,
4 based on some of the actual field data that we are
5 seeing, then we have a much faster flow-through system.

6 A. You would have a faster flow-
7 through system but again your empirical data from the
8 site does not support that, number one, nor does the
9 model. It will not model properly if you change those
10 values.

11 Q. In that scenario you would also
12 have, as we discussed, a larger volume flowing through
13 as well?

14 A. Yes, I would expect to see lots
15 of leachate in the monitoring wells and we are not seeing
16 that.

17 Q. Now, Mr. Sobanski, in regard to
18 some of your tests where you had this zero observed
19 flow-through, you have indicated now that the Neptune
20 water meter you were using was down to a one litre and
21 then I believe though you can estimate down to 0.5 litres?

22 A. Yes.

23 Q. Those are the packer tests results
24 we see of zero at HC-6. Now, my understanding of that
25 Neptune meter is that you wouldn't be able to estimate a



1 permeability lower than 10^{-6} with those kinds of speci-
2 fications.

3 A. Our geotechnical people this
4 morning advised us that they could measure down in the
5 field to 10^{-8} with the equipment we use. We have made
6 some efforts to find what type of a meter this is in
7 terms of its construction. If it is positive displace-
8 ment as has been indicated to us by Neptune itself then
9 it would be extremely accurate. I know I have had
10 experiences myself of just leaking plumbing in the house
11 that has cost me considerably, something that I didn't
12 know about and couldn't see.

13 Q. Mr. Beechinor, have you ever done
14 a packer test yourself?

15 MR. BEECHINOR: A. I think this was the
16 first packer test I was involved in. That is why I
17 relied on our geotechnical staff to actually perform the
18 test but there was also some concern about whether or
19 not they could be leaking. We paid careful attention
20 to installing the packers on zones that were unfractured
21 so that there wouldn't be any bypass or leakage around
22 the packers.

23 Q. We just heard a minute ago that
24 you put those tests in zones of fracture.

25 A. We are talking about the packer



Nethercut & Co. Ltd.

Toronto, Ontario

8684

Sobanski, Beechinor,
cr-ex (Vigod)

1 test we conducted at HC-6 where we got the zero fluid
2 into the formation. We were packing -- our packer
3 material was against unfractured rock. There was no
4 leakage.

5 MR. SOBANSKI: A. It's obvious if they
6 got zero input that there was no leakage around the
7 packers.

8 Q. I would like to turn to another
9 area now. We had a number of questions from Ms Cronk
10 through a long line of questions on the fact that a
11 number, a large number of reports have been commissioned
12 in regard to the Burlington and Bayview sites.

13 A. I'm sorry, I'm having difficulty
14 hearing you.

15 Q. Ms Cronk took you through a long
16 line of questions to establish that a number of reports
17 had been commissioned in regard to both the Bayview and
18 Burlington sites as well as Site F and there was some
19 indication that this data came to similar conclusions
20 about this site. I would just like to look at one or
21 two points in some of these other reports. Mr. Sobanski,
22 do you have a copy of the Burlington report with you,
23 the buff-coloured report? I have an excerpt of the
24 pages I will be referring to.

25 MR. LEDERER: Mr. Chairman, just to make



1 this clear, this is in effect a second excerpt of a
2 report that has been produced before this Board. This
3 is the report that was prepared in support of an expansion
4 of the present regional landfill at Burlington, the one
5 which is next to Site F, the hearing conducted in 1984,
6 the first excerpt exhibited as B-217. It may be that if
7 we are going to continue with exhibiting that this ought
8 to be made A or something.

9 DR. KINGHAM: I am easy. Do you want to
10 call this B-217A?

11 MS VIGOD: I'm in your hands on that.

12 DR. KINGHAM: We'll call it B-217A.

13 --- EXHIBIT NO. B-217B: Excerpt from Hydrogeological
14 Study - Burlington Landfill
Site, dated March, 1984

15 MR. McQUAID: I think it had better be
16 B-217B. We will have to go to the next letter.

17 DR. KINGHAM: We will make it B-217B
18 although I can't find this map. Did we all have a copy
19 of the map B-217A?

20 MR. McQUAID: It was the large map that
21 I put the red diagonal on.

22 DR. KINGHAM: I recall it well.

23 MR. HODGSON: Shouldn't it be Exhibit
24 WB-217B?

25 MS VIGOD: Mr. Chairman, before I go on,



1 this is something you never want to happen. My secretary
2 appears to have mixed up the numbers on two pages. So
3 perhaps we will leave it. I will go back and come back
4 to that in a while. I apologize.

5 DR. KINGHAM: We will reconsider this
6 all tomorrow morning, both the number ...

7 MS VIGOD: I will provide everyone with
8 a new ...

9 Q. All right, Mr. Sobanski, I will
10 move on to a different topic to speed things along.
11 We have had some discussion about the attenuation capa-
12 bility of this shale. You have indicated that you
13 believe the shale has good attenuation capabilities.
14 If we could just refer to page 99 of H-40. If we see
15 the first paragraph, you have a reference to the CEC
16 which is the cation exchange capacity. There is a
17 statement that they are relatively high values for the
18 CEC of the shale bedrock at about 65, that is milli-
19 equivalents per hundred grams?

20 MR. SOBANSKI: A. Yes.

21 Q. My understanding is that you say
22 it has a high capacity to take positive ions out of
23 solution, is that basically ...

24 A. Yes.

25 Q. If we look to Appendix 3, if we



Nethercut & Co. Ltd.

Toronto, Ontario

8687

Sobanski, Beechinor,
cr-ex (Vigod)

1 show your analysis, Appendix 3, Exhibit H-40A ...

2 DR. KINGHAM: Little Roman ii?

3 MS VIGOD: That's right.

4 Q. We're at Appendix 3, little Roman
5 Numeral ii.

6 MR. SOBANSKI: A. Bear with me for a
7 moment. Yes.

8 Q. Do you have that?

9 A. Yes.

10 Q. If we turn to this appendix we can
11 see there is a little asterisk halfway down the page
12 and then we see an analysis was conducted on a crushed
13 sample less than 80 mesh 0.177 millimetre size. Do you
14 see that?

15 A. Yes.

16 Q. My understanding then is that what
17 you did to do this analysis was that you took the rock
18 and passed it through a seive and then tested it with,
19 for example a solution with metal with a known concentra-
20 tion and you have the known weight of the rock and you
21 see how much metal goes out of solution and ends up on
22 the rock.

23 A. I think I will just defer this if
24 I can to Mr. Feenstra. His firm conducted the analysis.

25 Q. Do you have ...



1 A. He can give the best analysis for
2 it.

3 Q. All right, we will leave that.
4 Mr. Feenstra may be here for a while. I would like to
5 refer now to your information about local water wells.

6 A. At last I can pass the microphone
7 over to Mr. Beechinor.

8 Q. You have discussed your walk and
9 talk surveys that you made of local water wells and I
10 was interested in how you did this survey. Did you knock
11 on any doors, did you define a certain geographic limit
12 and then go out and investigate water wells or ...

13 MR. BEECHINOR: A. I think the process
14 is described in the report. First of all, we researched
15 the water well records on file with the Ministry of the
16 Environment and could not come up with any locations
17 downgradient of Site F. Subsequent to that I met with
18 a resident of Aldershot, Mr. Chumley. He had previously
19 reported or someone in the process reported that there
20 were some uses in the Aldershot area of some older wells.
21 So, we tried to track those down. I think Mr. Chumley
22 at that time, I think we're talking September of 1985,
23 indicated that the six wells he knew of and I understand
24 Mr. Chumley was, if he is not now -- I have seen him at
25 the hearing -- if he is not now he then was very active



Nehercut & Co. Ltd.

Toronto, Ontario

8689

Sobanski, Beechinor,
cr-ex (Vigod)

1 in the citizens groups so I went to speak to him about
2 where these wells might be. He was able to identify
3 where six were. Then we started knocking on the doors
4 of those six and from that we got information that there
5 were some additional locations that we should check out.
6 I believe in total we came up with 13, 13 wells. Of
7 those we found in the final analysis that three of them
8 were being used for human consumption. These wells
9 were all a kilometre or more away from the site. Two
10 of them were being employed as -- for some limited
11 summer use, for gardening use in the summer. The
12 remaining wells that we uncovered at that time were
13 either not in use or filled in or abandoned.

14 Q. Now, Mr. Beechinor, you would
15 agree of course that it is important to ascertain the
16 water resource and users downstream of Site F as with
17 any other site?

18 A. Certainly.

19 Q. I am showing you -- I believe I
20 had provided you with this earlier -- a survey done by
21 our expert and I would like to distribute this at this
22 time.

23 MR. LEDERER: Before anyone looks at it
24 I think I'm required to say I don't object particularly
25 to it going in. It is customary for things to be done



1 in this way as long as it is understood that for it to
2 have any probative value we will have to have some
3 proof. The chart at the end is very simple to understand
4 but then on it it has a professional name. The survey
5 at the front is called the survey done by our expert.
6 To the rest of us that doesn't have an awful lot of
7 meaning at this point. So I think it has to be made
8 clear that until we understand how this survey was done
9 it will have to be subject to further proof. As long
10 as that is the understanding this is filed under I
11 have no objection.

12 MS VIGOD: Mr. Chairman, I think you will
13 appreciate we will be bringing evidence on that survey
14 and I think that at this point rather than waiting until
15 June ...

16 MR. LEDERER: June of which year?

17 MS VIGOD: ... that the other parties
18 and we also would want Mr. Beechinor to comment on this
19 survey. We will of course be proving this later on.

20 DR. KINGHAM: In view of Mr. Lederer's
21 objections if you exhibit it, we will proceed on that
22 basis.

23 MS VIGOD: Q. Mr. Beechinor, on the last
24 page you see a printout from the firm Barringer Magenta.
25 I believe that is the same firm that did your chemical



1 results in your report?

2 MR. BEECHINOR: A. Some of the results.

3 Q. If we can just for the time being,
4 if you will allow me to explain that the box part of
5 that printout which says Site F data is in reference to,
6 if you like, the survey done on Site F, that other
7 material refers to other work done for Mr. Bowen's firm,
8 if we can accept that for the moment. I would ask you,
9 as well you will see on the preceding page a map
10 with the location of the wells and the owners' address
11 marked on; do you see that?

12 A. Yes.

13 Q. Can we just confirm that generally
14 we see two wells, 7 and 8 upgradient of the site; do you
15 see that?

16 A. Those are two of the 17 there.

17 Q. That's right. The rest of the 17
18 wells are located downgradient of the site?

19 A. Not necessarily.

20 Q. Located south of Site ...

21 MR. SOBANSKI: A. I might just say before
22 we leave 7 and 8, we had better look at No. 8 because it
23 says it's a cistern as opposed to a well. That isn't a
24 well, it's a hole to collect water, so it's not a well
25 at all.



1 Q. All right, it's just for the purpose
2 of trying to establish that two samples were taken up-
3 gradient of the site.

4 A. That will be groundwater, not run-
5 off.

6 MR. BEECHINOR: A. I do know this as
7 well, that wells Nos. 4 and 5 are the same wells, are
8 they not?

9 Q. They are a duplicate sample of that
10 well. We wanted to run a duplicate.

11 A. Are we saying at this point that
12 we are talking about 16 wells -- 15?

13 Q. Actually, Mr. Beechinor, you will
14 see that well 4 is marked on there and you are
15 correct there isn't a well 5, it is a duplicate.

16 A. So we're talking about 14 wells
17 south of the site.

18 Q. You will see if you look on the
19 first two pages, you will see that a number of the wells
20 have in brackets a number. If you see, for example,
21 well 3, you will see chloride reading of 28 and in
22 brackets 75?

23 A. Yes.

24 Q. The sulphate 65 and in brackets 87?

25 A. Chloride 28 and 65.

Q. Twenty-eight and 75. If you see a



1 note on the following page, the bottom of the summary,
2 that those brackets refer to the wells sampled by
3 yourselves as well?

4 A. That's right.

5 Q. So we in fact are still left with
6 two of your wells?

7 MR. LEDERER: I don't understand how you
8 get that from the note. Mr. Beechinor has very quickly
9 agreed but I would like you to explain how you get that
10 out under the notes. I have four notes, Roman Numerals
11 I through IV. The first one deals with sampling
12 conducted June 27, '87. The second is all analysis
13 performed by Barringer Magenta Limited, Rexdale, Ontario.
14 No. III is referring to an accompanying figure for
15 locations and No. IV is Trow Hydrology Consultants'
16 number, it refers to Trow Hydrology Consultants Limited,
17 well number, Appendix 9 and Drawing 2. I don't see a
18 relation between those notes and the brackets.

19 MS VIGOD: Perhaps I can clarify that.

20 Q. If you see in the second column
21 of that summary, you will see THCL number; do you see
22 that right at the top, you have your well number and
23 then you see THCL number and the heading?

24 MR. BEECHINOR: A. Yes.

25 Q. If you look down to well 3 you will



1 see 43 HC?

2 A. Yes.

3 Q. That would be your number, your
4 well number?

5 A. That is correct.

6 Q. So, if we went to Appendix 9 we
7 would find these chemical data, that is if you want to
8 double-check that?

9 A. Why don't we double-check that?

10 Q. Fine. Do you have that?

11 MR. SOBANSKI: A. Yes, we are just
12 checking it.

13 MS VIGOD: Mr. Chairman, perhaps we
14 could make this an exhibit at this point.

15 DR. KINGHAM: Yes.

16 MS VIGOD: WB-227.

17 DR. KINGHAM: WB-227, subject to further
18 proof.

19 --- EXHIBIT NO. WB-227: Summary of Water Well Sampling

20 MR. BEECHINOR: The only information I
21 find lacking is for your well No. 16 which is the same
22 as our well No. 42 HC. You didn't report the chemistry
23 that we have for that well. The chloride should be about
24 52 and the sulphate should be about 52.

25 MS VIGOD: Q. That's fine. In general,



1 first of all, you would confirm or at least from this
2 document that the conventional parameters that were
3 looked at here, that the chlorides, that the chlorides
4 and sulphate readings are well below drinking water
5 standards. The one exception happens to be a new well
6 upgradient of the site, that is well 7 is the only one
7 that shows an exceedence?

8 MR. SOBANSKI: A. Yes.

9 Q. In fact those levels are quite
10 low. It is quite good water, you agree?

11 A. Yes, it is, yes, it's not too bad.
12 The one upgradient, we would expect that at the depth
13 that was given he may be into the shale. That is on
14 No. 7. I would say it's in the well in rock although
15 it is in shale, 35 metres deep. So he is getting into
16 the shale quality water.

17 Q. The other well south of the site
18 we see a fairly good water and just to meet Ms Cronk's
19 concern you would be able to confirm that on the
20 Barringer Magenta results the chlorides are all -- are
21 very low?

22 A. Yes. I would need some advice
23 on what the nitrogen is, though, the nitrate and how
24 that is being reported.

25 Q. But if we are looking at the



1 chlorides and sulphates we see pretty good water.
2 Mr. Sobanski, again as you see in the charts, the comment
3 we see that a number of residents have no municipal
4 supply, at least the first two wells used for everything?

5 A. The first two, 1 and 2 have no
6 municipal supply, used for everything, used for drinking
7 on Bowen No. 3, uses for drinking No. 4. Nos. 4 and 5
8 are the same well. No. 6 is used for property sold.
9 It is commercial. I am surprised they would be using
10 that groundwater. They are on a pipeline. It's on
11 King Road there and there is a pipeline right in front
12 of them. I am surprised they use that well. No. 7,
13 that is a farm well to the north of the site. No. 8 is
14 a cistern which is not a well. No. 9, it says no
15 municipal supply. We identified that one I believe.
16 No. 10, gardening supply which we had down as summer
17 use only so I believe that would fit the pattern. No. 11,
18 it says uses for everything. It wasn't one of our wells.
19 No. 12, it says uses for everything. No. 13 says
20 drinking. No. 14 says drinking. Fifteen says drinking.
21 Sixteen, nothing, no comment or on 17 as to what the uses
22 are on those two wells.

23 Q. Mr. Sobanski, you would then agree
24 that there is in fact a water resource here south of
25 Site F?



1 A. Yes. I think we have talked about
2 the fresh water rind. I would still say I would need
3 some advice on the nitrates in those wells as to how
4 they are being reported, whether they are being reported
5 as nitrogen or nitrate.

6 Q. We will deal with that in our
7 evidence.

8 A. Because if it is being reported
9 as nitrate or as N, nitrogen, then they would exceed
10 the Ministry's criteria. If it is as NO_3 as indicated
11 in the upper column then it would not exceed the
12 Ministry's drinking water quality criteria.

13 Q. We will certainly call evidence
14 on that but the chlorides and sulphides that you
15 measured would it be fair to say in these wells that
16 we are seeing a fairly good resource and that people
17 are using it for drinking purposes?

18 A. Yes, that's right. It is reason-
19 able quality water and when we get up into the shale
20 above the site we are seeing again a situation similar
21 to what we discussed before. We have got a rind that
22 is in equilibrium with the existing sites upgradient
23 and with a very poor water quality at depth. It has
24 been sitting there for 10,000 years or so and they
25 say equilibrium condition of good quality water on top



1 of poor quality water.

2 Q. Okay, Mr. Sobanski, we will leave
3 that and we will be calling further evidence on this.

4 Finally -- actually we are coming to an
5 end here -- just briefly we have had -- Mr. McQuaid had
6 referred you to the green comparative report, Exhibit
7 H-14.

8 A. Yes.

9 Q. I don't even think you really need
10 it. If you feel you need it ...

11 A. I'm not sure. I had better not
12 take any chances.

13 Q. Just looking at your letter and
14 my question is that if we are striving -- I put this as
15 an assumption to you -- that we are striving to a goal
16 to limit the impact off-site of these two proposed
17 landfills. I believe you stated that at Site D with
18 the hydraulic trap working we should be collecting 100
19 per cent of the leachate and in that case the trap is
20 part of the operating plan that will go in at the
21 beginning when the landfill is put into place. In the
22 case of Site F we have indicated that with the under-
23 drain system operating at its full capacity, it is still
24 going to -- we are going to have this five per cent
25 approximate leakage into the rock. Mr. Sobanski, I



1 believe your evidence was that if you added pu
2 and other contingencies to Site F you would then be
3 to make it close to 100 per cent. Is that my under-
4 standing?

5 A. Yes.

6 Q. You would agree that -- would you
7 agree that D would then appear to be a better site as
8 it would require one less layer of engineering to
9 achieve containment on-site?

10 A. There is one less layer at D
11 required to achieve containment as proposed now.

12 MS VIGOD: Thank you, Mr. Chairman.
13 Those are my questions and subject to dealing with that...

14 DR. KINGHAM: You are going to reprimand
15 your secretary overnight and bring us a new copy in the
16 morning. I hope he doesn't get upset. Thank you very
17 much. We will resume tomorrow at 9:30. Mr. Lederer?

18 MR. LEDERER: Thank you, sir, I apologize.
19 Two matters before the Board adjourns. Counsel met this
20 morning looking for some way to see whether or not we
21 might be able to shorten the hearing and certainly my
22 understanding of where we were when we finished was that
23 we might congregate again tomorrow. I am speaking now
24 of just counsel. I am wondering if, whether or not
25 the Board might be prepared to convene at 10:00 rather



1 than 9:30.

2 THE CHAIRMAN: We would certainly
3 encourage you on that effort. We are also thinking
4 along similar lines as well.

5 MR. LEDERER: I might just indicate to
6 the Board I have one other problem. It is the sort of
7 thing that is going to happen from time to time in the
8 course of the hearing. We have had to make a reasonably
9 quick adjustment, the fact that -- two comments -- the
10 fact that we won't be calling Mr. Feenstra next. It has
11 always been our understanding that I would be responsible
12 for reply to this examination. Unfortunately it's going
13 to be necessary for me to be in Ottawa at some time
14 tomorrow evening and I won't be able to stay through
15 here tomorrow. At the same time, Mr. Chrysler would
16 be our next witness and Mr. Hodgson would take res-
17 ponsibility for that. The idea of, in one night,
18 explaining reply, including the preparation of
19 Mr. Chrysler is a daunting
20 task to say the least. What we are asking, it is going
21 to be a significant moment here in any event, that this
22 matter adjourn at the end of the reply of Mr. Sobanski
23 tomorrow rather than any attempt to start Mr. Chrysler.
24 I understand, sir, that you have questions for these
25 gentlemen. I presume the other Board members do as well.



Nethercut & Co. Ltd.

Toronto, Ontario

8701


Sobanski, Beechinor,

1 I doubt if we're going to lose much time that way. If
2 the Board is two hours or in excess of that, we have an
3 hour or so we're going to have for reply, plus more
4 information from Ms Vigod and as the day expands I don't
5 think we're asking for too much but it would give us a
6 measure of comfort to know that we didn't need to have
7 Mr. Chrysler here.

8 DR. KINGHAM: Your suggestion is to
9 bring Mr. Chrysler on Tuesday morning? Fine with us.
10 We will start tomorrow at 10:00 when we will finish
11 re-examining Mr. Sobanski.

12 --- Adjournment at 4:30 p.m.

13
14 CERTIFIED CORRECT

15
16 
17

18 P. D. McQueen

19
20
21 (page 8800 follows)
22
23
24
25

